

ASRAC COMMERCIAL UNITARY AIR CONDITIONERS WORKING GROUP

MEETING

JUNE 10, 2015

A P P E A R A N C E S

Karim Amrane, Ph.D.

Mary Anderson

James Battaglia

David Branson - via webinar

John Cymbalsky

Andrew deLaski

Jim del Toro - via webinar

Chris Granda

Jill C. Hootman

Long Huang - via webinar

Marshall Hunt

Diane Jakobs - via webinar

Michael Kito

Steven Maddox - via webinar

Michael J. McCabe

Sam McClive - via webinar

Charles McCrudden

Karen Meyers

Nicholas Mislak

Raquel Neto

Javier Ramirez

- 1 Mike Rivest
- 2 Greg Rosenquist
- 3 Harvey Sachs, Ph.D.
- 4 Amy Shepherd
- 5 Michael Shows - via webinar
- 6 Louis Starr
- 7 Rusty Tharp
- 8 Meg Waltner - via webinar
- 9 Detlef Westphalen
- 10 Robert J. Whitwell
- 11 Linda Wilson - via webinar
- 12 Dave Winningham
- 13 Sami Zendah

- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

AUDIO TRANSCRIBED BY KYLIE S. SHEPHERD

1 P R O C E E D I N G S

2 MR. RAMIREZ: All right. Is everyone just about
3 ready to go? All right. Let's go ahead and get started.
4 And we're going to get started with introductions, just
5 for the record.

6 Javier Ramirez with Federal Mediation

7 MR. HERMOSILLO: Isael Hermosillo with FMCS.

8 MR. WHITWELL: Bob Whitwell with Carrier.

9 MS. HOOTMAN: Jill Hootman, Trane.

10 MR. MISLAK: Nick Mislak, AHRI.

11 MR. THARP: Rusty Tharp with Goodman.

12 MR. SACHS: Harvey Sachs, ACEEE.

13 MS. MEYERS: Karen Meyers, Rheem.

14 MR. WINNINGHAM: Dave Winningham, Allied Air.

15 MR. STARR: Louis Starr, Northwest Energy
16 Efficiency Alliance.

17 MR. HUNT: Marshall Hunt, PG&E and California
18 IOUs.

19 MS. ANDERSON: Mary Anderson, PG&E, California
20 IOUs.

21 MR. deLASKI: Andrew deLaski, Appliance
22 Standards Awareness Project.

23 MR. McCRUDDEN: Charlie McCrudden, Air
24 Conditioning Contractors of America.

25 MR. ZENDAH: Sami Zendah with Emerson.

1 MR. KITO: Michael Kito, DOE.

2 MR. CYMBALSKY: John Cymbalsky, DOE.

3 MR. ROSENQUIST: Greg Rosenquist, LBNL.

4 MR. LAU: Chris Lau, Navigant.

5 MR. RIVEST: Mike Rivest, Navigant.

6 MS. NETO: Raquel Neto, Navigant.

7 MR. BATTAGLIA: James Battaglia, Navigant.

8 MR. AMRANE: Karim Amrane, AHRI.

9 MR. McCABE: Michael McCabe, consultant to
10 Trane.

11 MS. SHEPHERD: Amy Shepherd, AHRI.

12 MR. GRANDA: Chris Granda, ESAP.

13 MR. RAMIREZ: I'm sorry -- Detlef, you want
14 to -- for the record?

15 MR. WESTPHALEN: Detlef Westphalen.

16 MR. RAMIREZ: And then online we have Diane
17 Jakobs --

18 MR. WESTPHALEN: Detlef, Navigant.

19 MR. RAMIREZ: Sorry. Online we have Diane
20 Jakobs, Jim del Toro, Linda Wilson, Long Huang, Meg
21 Waltner, Sam McClive, Steven Maddox, and Dave Branson.

22 All right. So let's get rolling into this.
23 I'll open up the floor for the industry group to share
24 with us what they've been working on.

25 MR. THARP: Rusty Tharp with Goodman. So let me

1 get back over here to my notes. First, we want to thank
2 everyone for waiting. I know we said we were going to
3 start at 9:30, and it's an hour late.

4 We've done an awful lot of talking, we did
5 gather early and have been discussing further the
6 information provided for, I would say, about three hours
7 this morning as well as some time last night.

8 I want to thank Navigant for the work that they
9 did in providing us some information on some of the
10 options. We want to, again, as everyone's aware, note
11 that this, regardless of the outcome, this will -- I
12 think it's our understanding it will be the second
13 largest reported estimated savings in DOE history. So
14 I've got -- this is the biggest?

15 (Off-the-record conversation.)

16 MR. RAMIREZ: Bob just had a few grimaces on his
17 face, but it's off-the-record banter. Okay.

18 MR. THARP: Okay. So actually I have 12 points.
19 Number 1, it's the second large -- first -- it is the
20 largest in history.

21 Number 2 is that part of that is the ventilation
22 energy. And so we think that, just the fact that we're
23 including in ventilation energy is a give from the
24 industry standpoint as we discuss these options. Reading
25 from the statute 42 U.S.C. 6311, definition 3, the term

1 "energy efficiency" means the ratio of the useful output
2 of services from an article of industrial equipment to
3 the energy use by such article determined in accordance
4 with test procedures under Section 6314 of this title.

5 So we believe that it's a pretty significant
6 give to, at this point, be including ventilation energy
7 in the analysis in total.

8 Item point number 3 is the energy model that's
9 being used is the blast model. We feel it's an
10 antiquated software that's not available today. Our
11 preference would be to use other software that is used in
12 other understanding Pro Energy Plus is what DOE is using
13 and other programs internal to DOE, maybe not EERE.
14 There's not much transparency -- not as much transparency
15 as we'd like to see in that modeling.

16 Point number 4, there's the economizer
17 operation, economizer failures is another area where
18 industry feels that we're giving in this inclusion.

19 Number 5, the product life. We don't
20 necessarily agree with the changes that were made to the
21 product life, but we're going with it. That's a give on
22 our portion.

23 Number 6, the external static pressures where
24 we've jacked everything up to the higher values across
25 the board. Whereas we feel that as high as a third of

1 the models are actually installed in big box style store
2 operation where the actual operating could even be less
3 than the test external static.

4 Number 7, we think that we're giving in the
5 shipments forecast. If you look at the shipment history
6 in the last decade and a half, it's relatively flat. And
7 be it the shipments forecast is projected to increase
8 over the next 30 years, we don't think that that's
9 necessarily accurate.

10 The base economic models that are given as far
11 as the retaining operating profit, operating margins, we
12 don't think that those are realistic as to what happens
13 in the world today, that's number 8.

14 Number 9, the employment levels, even after the
15 adjustments that were made, are still measurably off by a
16 factor of 2 to 3 still. So that would -- leads to much
17 greater impact than what would be estimated.

18 Number 10, our operating margins were
19 single-digit operating margins in this industry, and
20 we're taking it down to even significantly lower levels.
21 And when you're -- when you're talking of going from a
22 9 percent operating margin to a 7.1 percent operating
23 margin, that's -- which was our, you know, so our
24 proposal was basically cutting our operating margins by
25 almost 20 percent.

1 Number 11, the product -- and this is something
2 that was discussed last night, verified with Navigant --
3 that the product cost estimates that are given for each
4 specific level are based on the base case shipments. And
5 the reality is, as shipment volumes decrease, component
6 parts, raw materials, are going to increase.

7 So if we chose a level where, if today's base
8 case volume is 100,000 units per year, everything we're
9 buying is based on 100,000 units per year. What's costed
10 in the event that the shipments go down 75 percent or by
11 25 percent is that we're still buying 100,000 units per
12 year. But in reality, we're going to be buying 75,000
13 units a year, and so all the parts are going to cost more
14 for that level. And that metric is -- that delta is
15 going to get larger as the EL level goes up. That is not
16 taken into account in the current analysis.

17 There's been a lot of contraction in our
18 industry. One of the things we want to point out is just
19 that recently GE has gotten out of the business of white
20 goods. So here's a major company, major company that's
21 getting out of an industry because it's, you know, who
22 knows the exact reason why, but it's probably a
23 significant portion of it.

24 How do I just -- myself, I've worked for six
25 different companies, but three of those other companies

1 bought the other three. So in reality, I've only worked
2 for three companies. But that happens, you know, so
3 companies buy each other. My company was actually bought
4 by -- so I work for Goodman, which was purchased by
5 Daikin a couple of years ago. So this contraction is --
6 is real.

7 So that said, in responding to the advocates
8 last counter-offer, on the furnaces, we agree to the --
9 the 81 percent. I guess we think that's not necessarily
10 a give. It is -- 81 percent is really what the numbers
11 say where it should go. And that 81 percent would be
12 going into effect with the air conditioning time frame.

13 On -- we agree to the EER where AHRI commits to
14 continue its process of verifying the values that are
15 submitted to AHRI by its members.

16 Third point, on the test method, we agree that
17 there should be a -- some time frames set on the test
18 method revision to include modifying the IEER for
19 ventilation energy. We agree that starting by January
20 1st of 2016 is good. We do think that with the total
21 process, everything else going on, that January 1st of
22 2019 instead of 2018 would be a target completion date.

23 Along with that on the test method, Sub-point A
24 is that we think that these products that we're
25 discussing now, the CUACs and CWFAs, should be not

1 included in the commercial industrial fans and blowers.

2 Sub-point B on test method is that we would add
3 in that we will work with -- we will try to push -- once
4 that test method is complete, we will try to work with
5 ASHRAE and everybody at this table to get that metric
6 included in ASHRAE 90.1.

7 On the phase 1, we have pretty much agreed that
8 that goes into ASHRAE 90.1 values in 2018 that there's no
9 change there. So then as we get to the big kahuna here
10 on the phase 2, we'd like to point out that, you know,
11 our initial offer was 12.2, and while the advocates
12 position is as stated is that the 16.3 of EL-3 was sort
13 of the target, for all of the reasons we discussed
14 mentioned a minute ago, we really don't think that that's
15 the best target to be basing things off of. But note
16 that the advocates came down 0.9 quads, and our counter
17 is coming up, I believe it's 1.3 quads.

18 So we propose to keep the values to go in effect
19 in 2024, that the small equipment would be at 2.5, which
20 is the same as our prior offer, and we would move the
21 large up to 3.0. We will move the very large up from 2
22 to 2.5, and that gives -- with 2024 implementation --
23 that gives 13.5 quads of savings based on the information
24 that Greg has provided.

25 So as we talked -- so we've done an awful lot of

1 talking. In reality, there is not full consensus,
2 there's not unanimity, and I have to reword that word,
3 unanimity within the industry. But there are
4 manufacturers willing to live with that.

5 So I guess at this point, turn to my members to
6 add in anything -- anything that I might have missed or
7 any additional comments from industry before we take any
8 questions.

9 MR. WHITWELL: Yeah, thanks, Rusty. This is Bob
10 Whitwell from Carrier. So just adding to what Rusty
11 said, there -- we see that the analysis, although we've
12 worked over the last month or so to improve it, there are
13 still lots of concerns that we have with the analysis.
14 And in the end, the -- the quads, there's -- they're
15 not -- it's not precise. There's some directional -- we
16 can take it as a directional value or indicator of
17 direction.

18 There's huge savings as you pointed out, 13.5
19 quads is -- is a huge number. I don't know if it's
20 number 1 or number 2, but anyway, it's a huge number. So
21 just wanted to add that that, you know, we're not looking
22 at precise precision as we look at this analysis and the
23 quad savings. So just keep that in mind, you know, as
24 you think about our proposal.

25 MR. deLASKI: Just one clarifying question,

1 Rusty. When you say the -- I just can't follow your
2 math -- the advocates, I don't understand your claim the
3 advocates came down .9 quads.

4 MR. THARP: Okay. Well, that came from the
5 offer yesterday was 15.4 quads; is that correct? And the
6 TSL-3 from the sheet yesterday is 16.3.

7 MR. deLASKI: Yeah, we were at 19.6. Our last
8 offer was TSL-4, so I had a little different math than
9 you.

10 MR. THARP: So that .9 wasn't from the prior
11 offer, that was actually from the TSL-3. So that's the
12 delta there. So thank you for clarifying that, I
13 apologize for that statement.

14 MR. deLASKI: Just to restate that, our offer
15 yesterday, compared to where our initial offer was, is a
16 reduction in savings of 2.4 quads in the analysis,
17 subject to the uncertainty that Bob rightly points out.

18 MR. SACHS: This is Harvey. And it's really a
19 tangential issue, and I very much appreciate your
20 bringing up all the sources of uncertainty.

21 It's my understanding from the press that
22 General Electric's decision is one of two strategic
23 moves; one to reduce its exposure on the finance side
24 where you've been a very major player, and the other is
25 to move entirely out of consumer goods into industrial

1 goods to return to its original -- an original focus on
2 industrial goods. And that industry is vastly more
3 consolidated than -- than your industry.

4 So I think recognizing the consolidation that
5 has happened in this one, I -- I still just want to
6 clarify that I don't think GE suffered a -- a lack of
7 arrogance -- self-confidence that it could compete in
8 this industry that it no longer fitted the new CEO's
9 strategic direction.

10 MR. deLASKI: And of course, we probably
11 shouldn't talk too much about GE since it seems a little
12 bit far out of field. But Electrolux, who's purchasing
13 the company, is no shrinking violet.

14 So I suggest that we need -- we should caucus,
15 unless there's other clarifying questions or --

16 MR. CYMBALSKY: I had one, this is John from
17 DOE. You mentioned the fans and blowers in -- as a
18 sub-bullet to the test procedure action. I guess I
19 wasn't clear exactly how your words lined up with the
20 test procedure for the follow-on work here.

21 MS. HOOTMAN: So if we're going to change the
22 test procedure such that we're including something for
23 fan and fan energy, we don't feel it needs to be
24 double-regulated, nor double-counted, nor regulated under
25 commercial fans and blowers. It would be a system metric

1 that would include fans. And so therefore, it should not
2 be covered under --

3 MR. CYMBALSKY: So your --

4 MS. HOOTMAN: -- commercial fans and blowers.

5 MR. CYMBALSKY: Your request is per action in a
6 different docket if I'm understanding that; is that
7 correct?

8 MS. HOOTMAN: That's correct.

9 MR. CYMBALSKY: And in a docket that would
10 conclude prior to this thing even kicking off?

11 MS. HOOTMAN: Possibly. Not a working group,
12 but the docket would, yes.

13 MR. CYMBALSKY: Yeah, so I --

14 MS. HOOTMAN: But some of the very same people
15 are in that one.

16 MR. CYMBALSKY: No, I get that. But I don't
17 think anyone at this table's prepared to agree to that.
18 I'm just going to state that up front.

19 MS. HOOTMAN: Well -- well, we're not -- we
20 would be --

21 MR. CYMBALSKY: It's a different --

22 MS. HOOTMAN: We would be very hesitant in
23 opening up that test metric and including that fan energy
24 if it looks like it's going to get also regulated --

25 MR. CYMBALSKY: So I don't --

1 MS. HOOTMAN: -- under commercial fans and
2 blowers.

3 MR. CYMBALSKY: We don't want to double-count
4 anything. Let's -- I want to be clear about that.

5 MS. HOOTMAN: But if I'm going to pull that fan
6 out and I've got to test it in a separate metric --

7 MR. CYMBALSKY: Right.

8 MS. HOOTMAN: -- I have way more increased test
9 burden, and I design my units completely differently now.
10 So I don't know that I'm at the table any longer for
11 changing the test metric.

12 MR. WINNINGHAM: And this is Dave at Allied Air.
13 To that point, John, then we need to go back and really
14 take a look at, we're taking many of the things we've
15 done here, as far as including ventilation air, including
16 increasing the static pressure out of this energy
17 savings.

18 MR. CYMBALSKY: No, so I think -- so I think
19 we've -- we're doing stuff here that's going to impact
20 the other docket. I guess that's the point I'm trying to
21 make.

22 MR. SACHS: This is Harvey --

23 MR. deLASKI: From a process point of view, I
24 mean, what I -- the problem is that we don't have -- this
25 committee doesn't have portfolio.

1 MR. WINNINGHAM: No, but there are --

2 MR. deLASKI: Now, there's overlapping
3 membership.

4 MR. WINNINGHAM: -- overlapping membership,
5 right.

6 MR. deLASKI: There are many people that are in
7 that working group that are not in this working group.
8 So I -- you know, we'll caucus, you know. But I'm not
9 going to --

10 MS. HOOTMAN: I think if this -- if these
11 members went to that section, went to that group and also
12 supported it, it would be a done deal.

13 MR. SACHS: Okay. This is Harvey. I'm
14 interrupting, I do that once in a while.

15 It seems to me that this can be resolved through
16 contingency language, which basically, in the term sheet
17 says these organizations and those they represent believe
18 that this is a good idea and commit to working toward
19 that end if that eventuates in the fans reg/neg, then
20 this is released to go forward on the -- on the test
21 measure.

22 So it has a contingency that allows us not to
23 feel either committed to the IEER revision under all
24 circumstances or otherwise get locked in. So that would
25 be my suggestion is just trying to -- if that would be

1 acceptable as a way of resolving this thing.

2 MR. deLASKI: So I think our groups should talk
3 before we go any further. What I don't know -- and maybe
4 this is a question -- so you've introduced the feature
5 that we all knew going into this that there was this
6 overlap between these two discussions, these two working
7 groups, and you've now explicitly tied them. So here we
8 are.

9 So I don't know whether the department, which is
10 at this table, could even accept such a recommendation.
11 And I don't know -- so I think that was John -- what I'm
12 hearing underneath of John's remark. So whether ASRAC,
13 the parent committee, we're going outside of our -- we
14 would be going outside of our assigned portfolio.

15 So is there a mechanism to do that? I don't
16 even know. But let us talk and then we'll -- we'll get
17 back.

18 MR. RAMIREZ: Andrew, just for the folks online,
19 about ballpark, how much time do you think you need?

20 MS. MEYERS: So -- but before we end, you know,
21 the last working group that I participated in was
22 enforcement of regional standards, and our whole terms
23 sheet was contingent upon the test procedure guidance
24 being released by DOE that would clarify how you rated a
25 product.

1 So I don't know why you think we can't tie this
2 contingency, as Harvey said, to our terms sheet. We've
3 done it in the past. I think we did it even an AEDMs,
4 although I can't remember the specific issue. But we
5 have done this. We have tied a term sheet based upon a
6 contingency. These things are moving at very close to
7 the same pace, so I -- I think that we can definitely put
8 a contingency on the terms sheet.

9 MR. deLASKI: Half an hour.

10 MR. RAMIREZ: Thank you, Andrew. So we'll be
11 back at quarter after.

12 (Recess taken.)

13 MR. RAMIREZ: All right. This is mainly for the
14 folks online, but also you all as well. But they -- it
15 looks like they're going to try to get a proposal and
16 they want to have it to you all before lunch.

17 The timing on that, I'm not exactly certain, but
18 maybe about another 15 minutes. So hang out, as soon as
19 they give it to us, then we'll have a working lunch.
20 Then we can break then. Okay? Thank you.

21 (Recess taken.)

22 MR. RAMIREZ: All right. Let's go ahead and get
23 started back up here. And I understand that the advocate
24 group is ready now to present a proposal. And Andrew, we
25 were told that you were out there polishing it up so that

1 you could do as good a job as Rusty did in presenting
2 his, so let's --

3 MR. deLASKI: Three hours.

4 MR. RAMIREZ: All right. So Andrew, whenever
5 you're ready.

6 MR. deLASKI: Okay. So thank you, and thank you
7 to the industry caucus for your counter-proposal this
8 morning. And I appreciate that, you know, it's a
9 difficult process for you to improve your offer.

10 And Rusty, I'm not going to try to go back
11 through your list of, what did you have, 11? You were
12 counting them off --

13 MR. THARP: 12.

14 MR. deLASKI: A dozen, not a bakers dozen, but a
15 dozen. You know, and I think we're at the point where
16 we're accepting the analysis with all of its warts as a
17 basis for negotiation. And, you know, if we don't get
18 the consensus, we'll continue to slug it out over that
19 and DOE will make their decision.

20 I'm pretty confident that the analysis will
21 support a standard at least as strong as the NOPR in
22 2019, and maybe better. So that's kind of where I'm
23 personally at, what I -- you know, tea leaves, as I've
24 said, there's lots of different factors out there.
25 There's threats of litigation, there's threats of going

1 to the hill, you know, be that as it may, that's not what
2 we're here to negotiate.

3 So we think the analysis is a reasonable, we
4 think it's done as DOE analyses are typically done in
5 terms of taking into account the actual field energy
6 consumption as opposed to consumption under the test
7 method and has been the case for 30-odd years. I
8 shouldn't say for 30-odd years. I should say for as long
9 as I've been doing it, since I don't know the experience
10 before then as closely, which is 15.

11 So I think the analysis is a good basis for this
12 discussion, and I think we all accept it as a basis,
13 imperfect as it may be for this discussion, this
14 negotiation.

15 You know, we came into this discussion -- into
16 this negotiation, you know, as I described yesterday,
17 looking for ways to get to win-wins. Right, outcomes
18 that are better for industry, we do share costs, but yet
19 still deliver, you know, the benefit that we would expect
20 from the NOPR.

21 And, you know, it's a better way to get to the
22 public policy objectives of energy savings and the
23 national economic benefits, the energy system benefits,
24 the CO2 reductions and other environmental benefits that
25 come with the standards if we all can get around a table

1 and, you know, shoot for that target, but do it in a way
2 that is going to be less burdensome from industry than if
3 DOE did it on their own, right, that's why we've been
4 working at.

5 So that continues to be our framing for this in
6 how we approach this task. So let me -- so we'll respond
7 to your -- to the point starting in the same order as you
8 presented them.

9 On furnaces, I think we've got a consensus
10 tentative to the overall package, and, you know, the
11 thing that you all outlined for us from our very early
12 meetings was a desire to align effective dates. And
13 we've heard energy has a lot of testing burden on
14 furnaces, it's a tough-to-test product, and a tough to,
15 you know, so I think the additional time on that product
16 is something that I -- I believe that you value and that
17 we believe has been an important development in this
18 negotiation to align those -- that date with the late --
19 with the phase 2 on air conditioners.

20 On EER, I think we have consensus there.
21 There's been some wordsmithing Marshall shared around
22 some text there. I think we're at the point of trying to
23 get down to the words down to what will be the specific
24 phrasing in a terms sheet. But you all have seen that,
25 Marshall shared -- I think it went around.

1 MR. CYMBALSKY: I'm sorry, this is John. For
2 some reason, I'm not on his e-mail list. So I haven't --
3 I actually didn't get that.

4 MR. deLASKI: You don't know a lot, then.

5 MR. CYMBALSKY: But I did -- I did take what
6 Marshall wrote and rewrote it in DOE acceptable words.

7 MR. deLASKI: So we hope that you'll consider
8 that language and that would be our proposed proposal on
9 how to tackle that.

10 MR. WINNINGHAM: Don't want to interrupt here.
11 We have some questions around that, but we can talk about
12 that following.

13 MR. deLASKI: Okay. On the test method, we do
14 want to see this test method completed in a timely way.
15 We think it's important that it get done sooner rather
16 than later as I expressed yesterday.

17 However, we also want it done right, so we can
18 accept your notion of doing -- having that -- so the
19 framing would be that DOE shall initiate a rule-making by
20 next January and shall complete it, issue a final rule by
21 January 1st, 2019. So we're accepting your proposal for
22 a year more time for that.

23 Let me skip over fans and blowers for a moment.
24 With respect to -- we had a clarifying -- a question for
25 you to clarify, which is, you said as your item 3B, at

1 least the way I number it, test method B, that you would
2 work to get the metric into 90.1. So I guess we wanted a
3 little more clarification for you, what you had in mind
4 there and what your objective was.

5 MR. THARP: You want that now?

6 MR. deLASKI: Yeah.

7 MR. THARP: So the idea would be to -- whatever
8 procedure, whether it's a combined metric or a separate
9 metric, whatever comes out of that -- although most of
10 the industry is in line with a single metric for
11 mechanical cooling and ventilation energy.

12 So whatever that would be, maybe we come out
13 with IEER Sub-B or something of that nature. Whatever
14 that metric would be, we would try to get that into
15 ASHRAE 90.1 so that there would be some requirements in
16 90.1 for especially for new buildings, so that that would
17 be semi-regulated for the building code aspects sooner
18 rather than later.

19 Because, as what we discussed was that the
20 intent long term would be for this revised IEER, IEER
21 Sub-B would be what would be discussed at the next
22 rule-making for CUACs. But we would try to get that
23 implemented sooner via ASHRAE 90.1.

24 MR. WHITWELL: Like we did for IEER? Okay.

25 MR. deLASKI: Well, that -- it raised the

1 question for us, you know, introducing the ASHRAE topic.
2 And Marshall, do you want to follow up with your -- your
3 question?

4 MR. HUNT: Yeah, this is Marshall Hunt, PG&E.
5 So for being able to do any kind of simulations and for
6 building code, EER is very, very helpful.

7 Right now, ASHRAE does have an EER/IEER pair, as
8 was clarified, so I don't know what's going to happen in
9 the future. But I don't want to tie our hands that we
10 might -- I would -- until convinced otherwise, I would
11 want EER and IEER, whether it's A, Sub-A or Sub-B.

12 MS. HOOTMAN: We would still leave EER in there.

13 MR. HUNT: Thank you.

14 MS. HOOTMAN: EER would always be in there in
15 ASHRAE. This would be just redefining IEER just like we
16 went from IPOV to IEER. And that before that was ever
17 defined by the government, this -- you know, that would
18 go to IEER Sub-B, it would be accepted by building codes,
19 it would have early adoption, essentially on the new
20 construction site before DOE would likely come in with a
21 regulation beyond what we're negotiating here.

22 MR. HUNT: Thank you.

23 MS. HOOTMAN: So what it's saying is that
24 there's a transition period and you would have some
25 priming of the pump, shall we say.

1 MR. HUNT: Well, that priming of the pump is
2 what we call code-readiness, and we've put millions of
3 dollars into the upstream rebate programs and really want
4 to keep doing that. We get strong support from public
5 utilities commissions, so thank you.

6 MR. deLASKI: Okay.

7 MR. THARP: Does that mean you accept 3B? Or --

8 MR. deLASKI: Yeah, I think, you know, subject
9 to wordsmithing, you know, to make sure we address
10 Marshall's concern.

11 With respect to sort of the overall three, the
12 test methods, we have on timing and I think another
13 question here was scope. So when we've expressed this,
14 the scope was to address -- to better address fan energy
15 consumption. But then I also have other topics. So if
16 other -- if other parties bring other -- I guess I don't
17 want to close -- I don't want to limit the scope of this.

18 If other good topics should be addressed in this
19 time frame, then they should be addressed. You don't
20 want to do it sequentially again. You've got a
21 three-year rule-making. I would not -- I would not want
22 to see it limited to just fin energy, because, you know,
23 if there's other things that should be addressed in the
24 same time frame, then you would want to do it then as
25 well.

1 So I don't know whether your proposal meant to
2 say the scope is fan energy and fan energy only or
3 whether that was -- because when you said it, you said to
4 address fan energy. So the question was: Did you mean
5 that to be exclusive, to prohibit addressing anything
6 else, or is the scope --

7 MR. THARP: Rusty Tharp with Goodman. I think
8 the intent was ventilation energy.

9 MR. deLASKI: Yeah.

10 MR. THARP: And there's -- so there's -- it's
11 basically the non-mechanical cooling energy that the RTU,
12 as shipped without accessories, consumes.

13 MR. deLASKI: You know, I don't know -- I
14 mean -- go ahead, Louis. You want to comment?

15 MR. STARR: So this is Louis with NEEA. I mean,
16 in general, I guess sort of what I thought about when DOE
17 looks at the test procedure, they'll probably look at
18 every aspect of the test procedure anyway.

19 So in other words, they would look to see, is
20 the static pressure an adequate number, is the
21 ventilation mode really captured. And so probably they
22 would look at all of that anyway. And I personally think
23 there might be some other elements that might need to be
24 added, and I don't even know what they are.

25 But it's just kind of going back and thinking

1 about maybe more elements needed to be added into that --
2 that test metric to really get a better idea of the real
3 performance of the equipment. And so more it's just --
4 we'd prefer to leave that broad in terms of getting
5 specifics of what might or might be incorrect about the
6 test procedure.

7 So I don't know. I mean, I would fear that, you
8 know, just from a real practical standpoint that if you
9 just limited it to one thing, you might end up with a
10 metric that's not really good; right? Just from a pure
11 engineering point, I would worry about that.

12 MR. THARP: Rusty Tharp with Goodman again. So
13 this is -- the details we're talking about now are really
14 more outside what we discussed as an industry.

15 So I'm speaking it now for myself and my company
16 as opposed to everybody else, but I think we would be
17 onboard with not -- not a narrow scope. So keeping it
18 open, to me, as I think about that sort of lends to the
19 AHRI system steering committee, some of the work that it
20 is doing to encompass the entire building as an envelope
21 in considering the system and the system effects. And so
22 I think that -- I think we're -- I think we're in --

23 MR. deLASKI: Yeah, our notion on three years
24 is, you know, trying -- is to allow time to address, you
25 know, that's going to be the people working on the test

1 method. And I don't want to sort of tie their hands
2 because of some discussion we had here today, right, that
3 ultimately would be -- that we could regret.

4 MS. HOOTMAN: Well, good point, Andrew, that,
5 yeah, it's more than the minds here and all of the things
6 that go into it. So yeah, I don't really want to say yes
7 or no or what's in scope or out of scope.

8 But I do have a huge concern, and it would mean
9 that the testing -- that there is no new testing
10 required. If we have to go back and retest all of our
11 models to some new metric, you can take that numbers that
12 they have and quadruple them.

13 MR. deLASKI: So you mean no new testing to
14 comply with the new -- with the current regulatory
15 environment, you know, the tests that would be
16 required --

17 MS. HOOTMAN: Or new test value then has some
18 numbers or some methodology in it that has some
19 requirements and it might very well be static pressure.

20 If I have to take all these models back into a
21 test room, you can quadruple or 5 times those numbers,
22 and industry takes about six years to get that done.

23 MR. deLASKI: Right. And you would have to do
24 that when, for -- we're talking about doing -- that would
25 have to happen for the next iteration. Meaning, not this

1 standard, the one that's going to happen sometime well
2 after 2025.

3 MR. WHITWELL: But it would have to start before
4 that, Andrew, so we would have an idea.

5 MR. deLASKI: So I understand --

6 MS. HOOTMAN: What that idea is.

7 MR. deLASKI: But this test revision is going to
8 kick that -- is going to --

9 MS. HOOTMAN: We would have to do it as soon as
10 you define it because then we would know, be able to tell
11 you whether we can do new models. All of our simulation
12 models have to get redone, all our ADEMs have to get
13 redone. So what's in scope and what's out of scope, I
14 really worry about anything that would start to add to
15 more test -- to a different test.

16 MR. WHITWELL: Yeah, I mean, I think about it --

17 MS. HOOTMAN: All those tests.

18 MR. WHITWELL: -- the IEER metric is already
19 adding more testing, right --

20 MS. HOOTMAN: It did.

21 MR. WHITWELL: -- because you have four points
22 that you have to test at, as opposed to the one for the
23 EER. So we're already adding some more to that.

24 So the hope would be that we can, within that,
25 take the measure -- take data that will help us to get

1 the -- quantify the ventilation energy; right?

2 So, you know, we just have to be careful about
3 adding additional burden by expanding -- depends, right,
4 by expanding the test procedure changes too far.

5 MR. deLASKI: And that requires of course this
6 test method proceeding will be conducted like any other
7 DOE test method proceeding. They're going to have to,
8 you know, the parties -- the people involved are going to
9 make those points and weigh these things back and forth.

10 I don't want to -- I don't think we're going to
11 predetermine these things right now. I just want to make
12 sure that we're casting the scope that's sufficiently
13 broad.

14 MR. SACHS: That is Harvey --

15 MS. HOOTMAN: I'm just saying, I can't sign up
16 for anything that would start to get those --

17 MR. deLASKI: And I don't want to take it off
18 the table, so I don't think we're kind of like signing up
19 for anything other than the DOE initiated rule-making.
20 So again, the term sheet -- what I would suggest is the
21 term sheet would say something along the lines that DOE
22 shall initiate a rule-making by January 1st, 2016, it
23 shall refine a rule by January 1st, 2019 to address
24 ventilation energy consumption and, you know, other
25 topics.

1 MS. HOOTMAN: Okay.

2 MR. SACHS: I'd like to just sort of add to it.
3 The lessons learned a couple years ago in the
4 certification reg/neg that we certainly would hope that
5 we can use what we've learned to build on the basic model
6 concepts and allow more qualifications and certifications
7 through simulations rather than dragging all this steel
8 into the lab.

9 MS. HOOTMAN: So I agree, Harvey, but there are
10 constructs of going that I can see that would mean I have
11 to redo my simulation models. So if I have to go back
12 and retest to redo my simulation models, it even then
13 starts to get very hairy.

14 MR. SACHS: Jill, I hear you. And I think what
15 Andrew and -- if I could put words around what Andrew's
16 saying, we're talking ventilation and leaving the rest of
17 the wording a bit nebulous right now.

18 MS. HOOTMAN: And I agree with his wording.

19 MR. deLASKI: Okay. So that's --

20 MR. SACHS: But I haven't forgotten the number
21 crunching.

22 MR. deLASKI: So I hope we have a verging
23 consensus on that point.

24 MS. MEYERS: So Andrew, a question. So when
25 this new method of tests, et cetera, is finalized, are

1 you -- is it going to be a new metric or a revised metric
2 and that will be the only metric that is regulated, or
3 are you looking at two metrics?

4 MR. deLASKI: No. Okay. There's two different
5 questions. Let me answer your question -- I'm not sure
6 what the question is, so let me -- if your question is --
7 let me just tell you how I envision it, and maybe see if
8 that will answer your question.

9 MS. MEYERS: Okay.

10 MR. deLASKI: So that there would be a
11 revised -- so a revised metric would be developed, IEER
12 Sub-B, or maybe it's something different. Rusty
13 intimated that maybe we come up with something that, you
14 know, is something different.

15 But that, then, it would be -- so it would go
16 into the Code of Federal Regulations as, you know, a test
17 method as the other one still exists in the CFR. So you
18 test to the current one for the standards that we're
19 negotiating now. So it's IEER Sub-B would be my -- my
20 expectation.

21 MS. HOOTMAN: And then, I think as we discussed
22 yesterday that the two test metrics can be out there with
23 some overlap or something --

24 MR. deLASKI: Yeah.

25 MS. HOOTMAN: -- is what was in clothes dryers

1 or whatever it was?

2 MR. deLASKI: Right.

3 MS. HOOTMAN: And so the second one would have
4 some overlap, and you would choose which one you are
5 testing to. Is that what you are saying? Or at some
6 time the other one kicks in?

7 MR. deLASKI: At some point at some time, the
8 other one kicks in. The mechanics of saying you choose
9 which one you test to, I'm not familiar with.

10 MS. HOOTMAN: Okay.

11 MR. deLASKI: Okay. So that seems to me to be a
12 different -- I don't know the answer to that. Because
13 the standard is the standard; right? So --

14 MS. HOOTMAN: Right, but if you have a phase
15 overtiming, I guess I'm thinking of a phrase overtiming
16 you have all these products that you've gone along and
17 they're tested to this one. And then now, this phase
18 over is happening and it's usually by a manufacturer
19 date.

20 So you know, you have stuff literally in
21 inventory that is out there that will literally be by an
22 old test metric plus maybe new test metric. Is that what
23 happened in -- is it clothes dryers? I can't --

24 MR. CYMBALSKY: So this is John from DOE. So my
25 recollection is, how we did it was for stuff that was

1 already tested, it was to the old one. If you were
2 introducing new models -- this might not be specific to
3 the clothes dryer one -- you had to use the new test
4 procedure at that point. Right, for clothes dryers, the
5 new one wasn't required, you could use it, but it wasn't
6 required until the compliance date of the new test
7 procedure -- the new standard.

8 MR. deLASKI: Voluntarily, you could voluntarily
9 use it?

10 MR. CYMBALSKY: Right, but if you were
11 introducing new models and you said, "I don't want to
12 retest it again in another" -- so the better option would
13 be to use the new test procedure because you're
14 introducing new models.

15 MS. MEYERS: Okay. So that's helpful, but I'm
16 still just a little bit off. So the step 2 that we're
17 negotiating as an IEER level, but we would finalize a new
18 test procedure with some new metric in 2019.

19 So I'm trying to figure out, its got this new
20 metric, but we have a negotiated standard on a step 2
21 with an IEER. So how do we get from Point A to Point B
22 in those five --

23 MR. deLASKI: Not until much later.

24 MALE SPEAKER: Beyond those --

25 MALE SPEAKER: Beyond that.

1 MS. MEYERS: So even though it's -- so even
2 though you finalize this test procedure in, say, 2019,
3 you're not required to --

4 MR. CYMBALSKY: Until the next set of standards.
5 That's the way we've done it in the past.

6 MS. MEYERS: So it would be post the step 2.
7 Thank you.

8 MR. deLASKI: We heard you that you wanted a
9 test method done first.

10 MR. HUNT: This is Marshall Hunt, PG&E. Rusty,
11 I have a clarifying question. You said "accessories," so
12 what kind of things are accessories? And for me, the
13 elephant in the room is the economizer.

14 MR. THARP: Yes.

15 MR. RAMIREZ: Rusty, is your mic on?

16 MR. THARP: Rusty Tharp, Goodman. I guess that
17 would be -- I guess that would be something that the -- I
18 think the group would have to address as they come --
19 come with it.

20 MR. deLASKI: Do we have to address it now or
21 can we leave it open or can we live with that?
22 Because -- big deal for me.

23 MR. THARP: As part of the commercial
24 certification, I mean, we've -- the agreement from the
25 commercial certification was that several of the

1 components would not be included in the testing as long
2 as the product was available without the accessory;
3 correct?

4 So what would need to be addressed is how you
5 account for the energy consumption of any accessory
6 items. And that's where really where I tend -- it tends
7 to go back to the AHRI steering committee and other
8 things of that nature where they're working on how to
9 account for those types of things.

10 MR. HUNT: Thank you.

11 MR. deLASKI: Let me keep going here. So on the
12 fans, this is a really difficult topic. We don't --
13 we're -- we're -- we're a little perturbed -- I say a lot
14 perturbed now to see to try to link these two
15 negotiations since we're not -- we don't have everybody
16 from that negotiation here in this room. I don't think
17 so, Bob.

18 MR. WHITWELL: Sorry, I misunderstood what you
19 said.

20 MR. deLASKI: And even -- even within our --
21 even -- there are additional parties, entities that
22 aren't here. And the individuals aren't the same. Okay?
23 Whether it be from my organization or several of the
24 others, we don't have them sort of here. But I think the
25 more important issue is that we don't have a lot of the

1 entities who are part of that negotiation.

2 We hear your point, though. Okay? And you've
3 been making it repeatedly. We understand the arguments,
4 we make our counter-arguments, but we don't need to
5 revisit them today.

6 I don't know the mechanics of how we would
7 handle this. Harvey floated an idea. Those of us in the
8 advocates caucus are prepared to, what we think is a huge
9 concession on this point, and making this concession in
10 the interest of getting an agreement on air conditioners.

11 It's a -- it's a -- it's a desire to make this
12 docket, which is, you know, we think we're very close to
13 getting to an agreement. We want to make it happen.
14 Okay?

15 So to make it happen, we're willing to make
16 this -- what we think is a major concession and one that
17 I think goes a long way to addressing the regulatory
18 burden that you have continued to describe and to
19 emphasize.

20 So the concept, and it's -- we would need some
21 time to work together for it to work out the mechanics of
22 it, and I'm not convinced that we can, but here's the
23 conceptually.

24 The advocates who are here, part of our caucus,
25 can agree to an approach that would say that fans which

1 have their energy efficiency covered or represented in
2 the IEER metric would not be required to comply with the
3 fan regulation. We could live with that kind of outcome,
4 those of us who are here, right.

5 So I can't speak for the fan reg, for that
6 working group, but I can speak for the five of us who are
7 in this part of -- who are sitting here with you today.

8 MR. SACHS: This is Harvey. And there's been
9 some sort of quiet questioning, and so I think it may be
10 worth just emphasizing that we are with you in concept
11 that if a fan is just -- "just," in parenthesis -- a
12 component of a regulated -- a product regulated in this
13 rule-making, then it should not have to be separately
14 certified. Obviously, there's a lot of detail and nuance
15 if --

16 MR. deLASKI: I don't want to do --

17 MR. SACHS: We don't want to get into.

18 MR. deLASKI: And there's a group working on
19 that, neither Harvey nor I are part of that group. Louis
20 is, you know, so we have -- Meg is, but I don't want to
21 negotiate the terms of that.

22 But I gave you a principle and how that
23 principle is applied, I think, I would look one: Can
24 that working group live with it? And two: How they
25 would apply it.

1 And I, for one, and we as a caucus, are
2 extremely concerned about -- there's two issues here.
3 One is that there are millions of fans that go into --
4 this is a lot of fans in the stock, right, so it's a lot
5 of efficiency. That's why you care about it in part,
6 because there's a lot of fans. And we care about it
7 because there's a lot of energy consumption. We are
8 optimistic that this test method is a way to address it.

9 And -- but the -- what I also don't want to end
10 up with, and again, it's not something to negotiate
11 today, but is a fan rule doesn't work for the other fans
12 because we end up with a loophole that a truck can go
13 through, right. So you know, how do we -- and I think
14 you guys were supposed to come back with a proposal to
15 the fan working group -- I wasn't there -- on how you
16 would do that, how you would define these fans in a way
17 that was loophole-proof, but I guess that's work to be
18 done. Okay?

19 So continuing along, phase 1, we have consensus
20 on that. Phase 2, so where we started out this week was
21 with a proposal that would save 17.1 quads, that was the
22 advocates proposal. This was outlined in the slides that
23 DOE presented yesterday.

24 We're at a proposal that would save -- I'm
25 sorry, I'm looking at the slide 11, I was quoting the net

1 present value at 7 percent. The quads were 18.2 quads
2 from our proposal, slide 11 from yesterday. And the
3 industry proposal was worth, once you corrected for the
4 fact that it was EL-2.0 for the small, was worth 12.1
5 quads. And that -- we reframed it yesterday, so let's
6 shoot for a target that's at least as good as the NOPR,
7 and that number was 16.3.

8 So I think you hopefully had that target in mind
9 when you were meeting yesterday. We came back with a
10 counter-proposal yesterday that under the DOE analysis
11 would save 15.4 quads by reducing our proposal to 3.5 --
12 EL-3.5 across the board. And we argued, and I think, you
13 know, were persuaded, that that proposal was worth
14 considerably more than 15.4 quads.

15 My argument is that it's closer to -- that that
16 gave us -- we were pretty confident that that level at
17 EL-3.5 would yield savings close to the NOPR level
18 because there's a bump in IEER from 3 to 3.5. Okay? The
19 analysis shows increased energy consumption, you know,
20 going from EL-3 to EL-3.5 for the small units. But, yet,
21 we think that's a flaw in the analysis that yields to a
22 big underestimation of the savings at 3.5. We just don't
23 think that you're going to go up an IEER point and also
24 see energy consumption go up on a population of
25 equipment.

1 So our proposal yesterday of 15.4 quads, 3.5 TSL
2 across the board, which is 3.0 for the very large,
3 although in the DOE math it represent -- DOE analysis
4 it's 15.4, we believe it's actually closer to -- gives
5 us -- at least getting in the neighborhood of the NOPR
6 value of 16.3.

7 Your proposal this morning increased the savings
8 up to 13.5 quads. We're prepared to make some movement
9 on the ELs and the TSLs. But we're not prepared to see
10 the savings in this docket go to a level that are -- that
11 is as far below the NOPR levels -- NOPR savings as your
12 proposal does. So the difference now, so the NOPR's at
13 16.3, your proposal is at 13.5.

14 We would -- so our -- we're willing to move on
15 both the -- come to the years in a minute. But what
16 we're willing to do is to drop the level for the small
17 equipment from 3.5 to 3.0. Okay? We've heard you that
18 your proposal for the smaller equipment has been lower
19 across the board in your proposals, it was lower this
20 morning than for the other equipment. So we hear you
21 that there's -- what I'm hearing from those proposals is
22 a desire to push less on the small equipment than on the
23 other categories.

24 So we're willing to drop our -- drop to 3.0 on
25 the small equipment from our prior proposal of 3.5. And

1 again, that's directly because we're interpreting your
2 proposals which have been lower for the small equipment
3 than for the large and very large to mean that you'd
4 rather push on the large and very large more relative to
5 the small. We're hearing that, but yet, you know,
6 dropping a full TSL from 3.5 to 2.5 takes too big a bite
7 out of the energy savings. These things -- this is a
8 large volume unit. So our proposal is to stick at 3.0
9 for the small -- or to drop, rather, from 3.5 to 3.0.

10 And then for the large, we would propose that
11 those stay. We're going to keep our proposal at the same
12 level with 3.5. And the very large are already at 3.0,
13 and we're proposing to leave those at 3.0.

14 The math on that -- and then on the years we
15 propose to split the difference. Okay? We heard 2024,
16 we heard 2022, let's call it 2023. We've had the
17 consultants run some scenarios yesterday, it looks like
18 each year of delay costs about .4 quads pretty much in
19 any one of these levels, right, because it's worth about
20 .4 quads.

21 And the thing about that .4 quads is that that's
22 a relatively firm .4. Because a lot of these savings are
23 pretty far out in the future, whereas the ones that are
24 closer in in time have a greater expected value in our
25 world in our view of the way the world works, then things

1 that are happening out in the future, right, you get a
2 greater sense that those are things that wouldn't happen
3 anyway.

4 So that's a valuable .4 quads. And we're
5 willing to give a year to split the difference on that,
6 and it costs .4 quads. So when we have the consultants
7 run those numbers, run that scenario --

8 MS. HOOTMAN: Very large was?

9 MR. deLASKI: 3. The savings are -- work out to
10 about -- let me get my notes. Unfortunately, I've got
11 two pads going for some reason.

12 Work out to about 15.4 quads. So the anomaly
13 here, back to the analysis anomaly, is that our savings
14 number is about -- is the same as what the DOE analysis
15 showed the savings numbers were yesterday from our
16 proposal, even though we've dropped the IEER levels for
17 the small equipment, right. And that's just that funny
18 anomaly in the analysis.

19 MR. HUNT: And given a year.

20 MR. deLASKI: And given a year.

21 But so to us, that 15.4 is a number -- is a
22 number that represents a true cut from the NOPR. Whereas
23 I was suggesting, our view of the world is that our
24 proposal yesterday was giving us parity with the NOPR.
25 We're now looking at a proposal that's almost a quad cut

1 from what DOE had proposed in the proposed levels.

2 So in our view, that's a significant -- it's
3 significant movement. A lot of our group are
4 uncomfortable with a proposal that is less than what
5 was -- than a level of savings that's less than what you
6 would get in the NOPR.

7 And when we look at the -- sort of the overall
8 picture here, we're looking at a standard that's going to
9 happen five years later -- sorry, four years later than
10 what would happen under the DOE proposal. And to make up
11 that time -- and in essence, sort of the basic trade here
12 in terms of time versus stringency, is you lose -- to go
13 four years later, we have to go up somewhere to make
14 up -- to begin to make up those savings.

15 So we're saying the place to go up, compared to
16 the NOPR, is in the large equipment. And that helps to
17 make up the difference; it doesn't cover it, but it helps
18 to make up the difference between what the NOPR level
19 would yield and our proposal.

20 So it's the combination of that -- getting very
21 large to 3.5, and then the earlier ASHRAE levels, you
22 know, erode the losses, so to say. But we are willing to
23 take something of a loss compared to the proposed -- the
24 proposed rule. But you know, a quad is a quad; it's a
25 large number.

1 So we think in exchange for the kind of
2 flexibility that we built in here with more time,
3 aligning effective dates, agreeing the levels on
4 furnaces, taking fans out of the fan docket, taking a cut
5 on the -- on the energy savings, that that's a pretty
6 good package. That's a lot in this for all parties. But
7 it is less energy savings than what would have happened
8 in the NOPR. And I will say that all parties in our
9 group are not completely comfortable with this.

10 So I'm happy to take any clarifying questions.

11 MR. AMRANE: Andrew, this is Karim with AHRI.
12 You've focused on quads, but did you look -- did you run
13 the impact on industry, the IMPV at those levels and how
14 they are compared --

15 MR. deLASKI: I'm not sure if you were here
16 yesterday, Karim, but we had quite a lengthy discussion
17 in the morning where the consultants prepared their
18 information showing that they don't really have a GRIM
19 right now that models the two-tier, right. So there's a
20 lot of benefit in -- so what we're doing -- I don't own
21 the GRIM, Karim, you know that.

22 So you know -- so the answer is that we're
23 trying -- what we're doing is, we're trying to come up
24 with an approach that addresses what you've been telling
25 us all along about trying to align effective dates, give

1 us more time. And, you know, the fact of the matter is,
2 these guys understand -- the analysis that matters is
3 what they're running inside their companies, and that's
4 for the contested docket in my view, right. The analysis
5 that matters is what these individual manufacturers note,
6 and that's confidential to them, of course. So I don't
7 think arguing over the GRIM output -- and I think we can
8 argue over it, but I don't think that's a good use of our
9 time.

10 MR. AMRANE: Yes, but that --

11 MR. THARP: Rusty Tharp with Goodman. I'll
12 say -- Mike, correct me if I'm wrong -- but there were
13 some -- that was part of the analysis that Navigant did
14 last night was two-step stuff.

15 And compared -- from what we asked them to run
16 to what you, you know -- so the max scenario they ran for
17 us compared to what yours, and I'm going to suggest --
18 you know, Mike can speak up -- but I'm going to suggest
19 that it's probably in the range of a negative 30 percent
20 IMPV. So they could --

21 MR. deLASKI: So I didn't really want to get
22 into this debate, but okay. Let's do it.

23 MR. THARP: But it needs to be something in
24 serious consideration because it's a 30 percent reduction
25 in industry. And that -- that's the -- you know, I'm

1 speaking for Karen and my friend John back there, but
2 it's for all of us.

3 You know, my company, I -- you know, for the
4 company that I'm representing, Daikin America and
5 Goodman. Goodman only plays in the small stuff, and
6 we're a small player; Karen's a small player.

7 And so it is -- it's a significant issue for me,
8 even though I'm part of a larger company, for my division
9 of the company, it's significant. So I -- I don't want
10 to leave it off the table.

11 MR. deLASKI: No, I know. That's not off the --

12 MR. RAMIREZ: Let me jump in. Andrew, just
13 because the -- its been clear, and I think its been made
14 clear by both sides that more so on industry that this is
15 something that's obviously going to be weighed and
16 industry is looking at this very closely.

17 The question that I have for you all though is
18 that we have about two hours and ten minutes, is that
19 what we want to use our time on or do we want to see if
20 we could finalize a deal?

21 You all are going to look at that data, I have
22 no doubt that you're going to do that, and that's going
23 to impact how you respond to this. So the question is:
24 Do you want to use that time to give a response or do you
25 want to have this discussion?

1 MR. THARP: I guess the question would be, Mike,
2 how soon can you run some numbers for what they've
3 proposed?

4 MR. RIVEST: We have them right now.

5 MR. THARP: You have them right now?

6 MR. RIVEST: I mean, I can give them to you --

7 MR. RAMIREZ: I'm sorry. Michael, could you get
8 a mic for us? Thanks.

9 MR. RIVEST: I'll provide the numbers to Rusty.

10 MR. deLASKI: And I wouldn't be surprised if
11 they're not going to be terribly different, right. You
12 know, so I think we kind of know the numbers and that
13 that particular DOE analysis kicks out. And it's a --
14 you know -- you know, you all probably heard me give you
15 this -- I hesitate to get into this because I don't think
16 it's a constructive use of our time.

17 MR. RAMIREZ: Well, that's why I asked the
18 question if you want time to have this dialogue or you
19 want to take the time to respond.

20 MS. MEYERS: So why did you make that statement?
21 I'm trying to understand why --

22 MR. deLASKI: Here's my point, okay. I'll try
23 to make it simply and not sort of -- because I don't want
24 to -- the issue that drives the manufacturer impact is --
25 is shipments; right? And the issue that drives reclining

1 shipments is the increase in price.

2 So part of the reason that we're -- we're
3 agreeing to an approach that gives you more flexibility
4 to comply, more time, aligns effective dates, aligns time
5 with the refrigerant phase-out, is because that will
6 reduce your costs to comply. Okay?

7 Once you -- once a standard is set, there is a
8 lot of talent, a lot of smarts, a lot of capital, a lot
9 of effort put into, "How do I comply with the standard at
10 the lowest possible cost?" Right, because you've got to,
11 right, because you know your competitor is.

12 So a few years ago -- we've been bothered for
13 many years that, you know, DOE comes up with these
14 analyses, they predict these cost impacts, and then we
15 observe in the market that the cost impacts don't arise
16 at the same level that DOE predicts.

17 You asked for the speech, so I'm giving it.

18 MS. MEYERS: I'm just getting ready to reply.

19 MR. deLASKI: And -- and what we found was that
20 the average observed price increase was 5 to 10 percent
21 of that predicted by the DOE analysis. And one of the
22 products of that was this equipment from the 2005 rule
23 that took effect in 2010, the DOE's analysis.

24 So DOE's analysis underestimated the price
25 impact by a wide margin. DOE overestimated the price

1 impact by a very wide margin in that docket.

2 MS. MEYERS: Right, and you're saying that's 5
3 to 10 percent? That wide margin?

4 MS. HOOTMAN: 95 percent overestimated or 90 to
5 95 percent.

6 MR. THARP: 5 percent of --

7 MR. RAMIREZ: Yeah, I'm sorry --

8 MR. deLASKI: So the focus on my point here is
9 that the impact on shipments is only what is predicted if
10 the prices attain at the levels predicted. But there's
11 lots of drivers to get those -- to get to a better price.

12 Now, I can't tell you for sure, right, and I
13 know it's your job to be conservative to expect --
14 because your bosses expect you, "Tell me the worst that
15 can happen," right, to be conservative. But once the
16 regulation is in place, incentives change. Now it's,
17 "I've got to comply with the regulation, and I've got to
18 do it in a way that's" -- and that's why I think the
19 effect we observed in ten dockets that looked at that we
20 had data that the costs didn't attain that were
21 predicted.

22 So that's why I -- I do not discount that there
23 are -- I believe there are impacts on manufacturers that
24 are costs for the shareholders, but what I don't believe
25 is that they are as severe as what are predicted by

1 DOE's -- by the scenario that you're pointing to. And
2 DOE does run two scenarios, but I don't believe it's the
3 scenario, it's the shipments that I do not believe will
4 decline at the rate that are predicted, and those
5 shipment impacts are what drive it.

6 So we, again, it's not your job. I expect your
7 job is to be as -- is to expect the worst, but I don't
8 think it's going to be as bad as you're predicting.

9 MS. MEYERS: So this is Karen with Rheem and I
10 just want to respond to a couple of those points.

11 So my numbers would be very different from you,
12 and I have the -- the insight into seeing what has
13 happened to our average pricing and what has happened to
14 our margins as standards have changed. So I would
15 disagree with that, and you know, you can cherry pick
16 pricing all over the place and come up with some
17 analysis.

18 But I would also agree that, perhaps, in some of
19 the DOE analysis -- especially the 2005 to 2010 -- it
20 could have been overestimated. But the reason that that
21 happened is thousands of manufacturing jobs moved south
22 of the border, and that is an impact to American jobs.
23 And it is an impact to this industry that has been
24 caused, and I will say the number 1 factor is due to
25 federal minimum efficiency standards.

1 So sometimes maybe that it's not -- you're not
2 seeing that because we're moving a lot of jobs, we're
3 closing facilities to manufacture elsewhere so that we
4 can keep our product affordable, which I think we've far
5 surpassed that already for the American consumer. So
6 you've got to do something; right?

7 So shipments are flat, efficiencies are up,
8 common, basic -- as it was drilled into me by
9 thermodynamics, you know, more copper, more aluminum,
10 more whatever, it's going to increase your cost.

11 So there's -- you know, there's several things
12 that we try and do to keep our, you know, profits and
13 shareholders. But, you know, there's only so much you
14 can do. There's only so much you can squeeze.

15 But, you know, you make that comment, but you
16 forget about what that does to contraction in the
17 industry and to jobs. And I don't think that's something
18 that a federal agency should discount when they are
19 setting regulations. Maybe it's not part of, you know,
20 what they're supposed to look at, but it is a fact of
21 what happens.

22 MR. deLASKI: So I'm still hopeful that we can
23 reach an agreement. I don't -- you know, I don't know
24 that it's great use of our time to continue this debate;
25 we have a different view on it.

1 And my view is that on the jobs question, I
2 think, you know, it just takes one manufacturer to make
3 the decision that they're going to move production to a
4 low-wage country to put pressure on the others to do the
5 same. And that happens with or without a regulation;
6 right? And the regulation may create the moment where
7 you have to invest, and therefore, the moment arises
8 because the regulations then have to invest and now I
9 have to choose where do I invest, but someone's going to
10 make that decision at a point where they recapitalize the
11 new plant whether there's a regulation or not. It
12 effects the timing, no doubt.

13 MS. MEYERS: So to your point, we have a
14 different viewpoint on this issue. And I will agree to
15 drop this issue with you, but you keep, you know, you
16 said your part, I said my part. We need to stop or I'm
17 going to come back. So decide what you want, Andrew,
18 because I can -- I can --

19 MR. RAMIREZ: Let me see if I ask -- how much
20 time does industry need in order to respond? And keeping
21 in mind there's probably some grumbling tummies in here.
22 And that's fine, so how much time would industry like?
23 30? All right. So let's be back at 1:30.

24 So we'll be back at 1:30. So if anyone could
25 squeeze in a quick bite, squeeze in a quick bite and

1 we'll be back at 1:30.

2 (Recess taken.)

3 MR. RAMIREZ: All right. Let's go ahead and get
4 started back up. Sami had to catch a flight, so he -- he
5 was going to try to call in; correct? Let's -- 2, 4, 6,
6 8, 10. Yeah, we're good. Okay.

7 So whenever you're ready, I give the floor over
8 to the industry group.

9 MR. THARP: Okay. So for the industry response,
10 as the normal, we truly appreciate everyone working
11 together and trying to come to a consensus. And we
12 appreciate the offer that the advocates have as far as
13 coming closer together in what we're looking for.

14 I guess one of the -- one initial point I would
15 like to make is, I know that the -- Andrew, you've
16 mentioned several times that you've trying to -- you
17 know, the advocates are comparing to the NOPR levels of
18 TSL-3 and the quad savings there. From an industry --
19 and so your last offer is, you know, less than that
20 savings.

21 I guess from an industry standpoint, what the
22 normal process is is ASHRAE 90.1 values, which would be
23 4.9 quad savings. And so the last offer that we came is,
24 you know, almost triple what we normally would expect as
25 far as ASHRAE 90.1 values going into place. So I'm

1 trying to sort of think what all of our conversation was
2 here.

3 So for the EER, I think we do -- we generally
4 agree with, again, that it will continue to be regulated
5 by -- or verified by ASHRAE -- AHRI, sorry. We do not --
6 we want to -- the wordsmithing to be that members will
7 continue to submit EER values to AHRI, and AHRI will
8 verify those values. So that's -- that's where we want
9 to go. We don't want to submit unregulated information
10 to Department of Energy. So -- but we're still fully
11 onboard with the EER values are being verified.

12 So in reality, in practice, there's no
13 difference than what we're doing today on EER as
14 reporting through the AHRI system. And -- and just, you
15 know, the AHRI certification program, we check product --
16 so within five years, 100 percent of product is verified
17 at the values submitted.

18 So to next step, I think to keep it simple, is
19 our response is coming to -- trying to think, is it --
20 coming approximately halfway between the difference in
21 quads. And we're going to move the small to 3 from our
22 last response. The large will be 3, and the very large
23 will be 2.5 in 2023. And I believe that gets us to --
24 I'm trying to find my numbers here -- that's 14.8 quads;
25 is that right?

1 MR. WHITWELL: 14.3.

2 MR. THARP: 14.3 quads, thank you. So the
3 numbers are 3, 3, 2.5.

4 MR. WHITWELL: And 2021?

5 MR. THARP: And 2023.

6 MR. SACHS: So the 2.5 is the very large.

7 MR. THARP: Correct. And is that correct, Greg,
8 14.3? Yes, 14.3. Thank you.

9 MR. deLASKI: So I think we should caucus. And
10 then we'll go get lunch. That seems fair.

11 MR. THARP: Are you hungry now, Karen?

12 MR. deLASKI: We'll caucus, you guys sit here
13 and starve.

14 MR. HUNT: Marshall Hunt, PG&E. One quick thing
15 I would -- we do need to see the wordsmithing, although
16 we may not need to settle that today, EER.

17 MR. deLASKI: We'll talk about it per caucus.

18 MR. RAMIREZ: So how much time? I guess the
19 question is: How much time do you need to eat?

20 MR. deLASKI: Let's take a half an hour --

21 (Off-the-record conversation.)

22 MR. RAMIREZ: Be back in a half-hour.

23 (Recess taken.)

24 MR. RAMIREZ: Okay. So Andrew, I'm going to let
25 you go through what you have, and then I want to talk

1 about timing after that so -- because we're crunching the
2 time here, go ahead and hit the ground running.

3 MR. deLASKI: So we're about out of time for
4 today as I understand it. We appreciate your offer and,
5 you know, I think this has been a good process. In the
6 interest of time, I'll dispense with some of the
7 preamble, I guess, you've all heard it before.

8 On the EER point, so you know, this strikes me
9 as something that we can and should work out the details
10 there. I don't think we should try to wordsmith it here
11 today. Okay? I know that DOE's got a strong interest in
12 this topic and we do, too, you do, too. And just --
13 there's complications here that are probably outside the
14 scope of probably where we started at least in the
15 negotiations that need to be sort of tackled by people
16 who are more familiar with them than I am.

17 And so I think it's a very important point to
18 us, Marshall's emphasized it throughout this negotiation
19 about the EER values being available. But we need to, I
20 would say, take some time to get that right.

21 I'm really happy to see that we have consensus
22 with respect to the small equipment. Okay? So we've
23 come to a point where we've got a consensus on a
24 category, so that's a big step forward for all of us.

25 The way we see it is that we're at a proposal

1 that would achieve 15.4 quads of savings under the
2 analysis, and you're at a proposal that would save 14.3.
3 We are -- you know, compared to the NOPR, our proposal is
4 1.5 quads below what we would save with the proposed --
5 with if the NOPR were adopted as a final rule.

6 We have made huge concession on fans, we have
7 done everything we can to get one redesign phase, we have
8 gone to a 2023 compliance date. We will make one last
9 step on quads, and this is the last step. Our group will
10 not take any further cuts beyond what I'm going to
11 describe for you right now.

12 It's in our proposal that we split the
13 difference from where we stand. Let's split the
14 difference in quads. You tell us the best way to get
15 there. And the way to get there, I mean, the options
16 are -- we've narrowed them. Because we've got consensus
17 on the small, so that leaves it to the large and the very
18 large.

19 So on the large, we're at 3.5 and you're at 3.
20 If we were to bump that up to 3.5, you get to 14.8, 14.9
21 quads, split the difference. If you do it on the very
22 large -- on the very large, you're at -- we're at 3 and
23 you're at 2.5. We come to 3, that covers the difference.

24 So what we're saying is that we're willing to
25 take a difference of 1.5 quads below what would be

1 accomplished through the NOPR, and there are two
2 different ways to get there. But you guys know better
3 than us which way is least painful.

4 We've come a long way; our group can't go less
5 than that. In essence, what we're saying is what
6 we're -- what we're bargaining for here, in essence, is
7 certainty, that we get certainty, but we take -- but
8 there's less energy savings that would have been
9 accomplished if we didn't -- if we went through all the
10 challenge of a rule-making.

11 But at some point you're saying, well, how much,
12 you know -- I work on a lot of dockets that are worth 1.5
13 quads, the whole docket, soup to nuts, three plus years
14 of work. And it's a big difference.

15 So I hope that -- I would -- so we're -- we're
16 putting forth two options, either of which would get to
17 the same quad result.

18 MR. THARP: Rusty with Goodman. Would you be --
19 if we had an option besides those two that you specified,
20 would you be willing to listen to that?

21 MS. MEYERS: That got us halfway?

22 MR. THARP: That got us halfway.

23 MR. deLASKI: Well, this is halfway.

24 MR. THARP: Well, if we had something different
25 than you. So still halfway.

1 MR. deLASKI: Yeah, I understand. So you're
2 suggesting -- so yes, just leave it at that. Yes, I
3 mean, there's no -- I think -- we aren't -- if there's
4 another way to get there, I mean, in our group we talked
5 about some ideas, but we didn't put them forward because
6 some of them were locked down we didn't want to come back
7 to for example, TSL-1 -- I'm sorry, phase 1.

8 MR. THARP: Could you reread your numbers for
9 me, please, for the options?

10 MR. deLASKI: So small we have consensus at 3.0;
11 right?

12 MR. THARP: Yes.

13 MR. deLASKI: For the large, you're at 3 and
14 we're at 3.5. For the very large, you're at 2.5 and
15 we're at 3.

16 We're saying, taking your position for one,
17 taking our position for the other, you have a blend --
18 takes 1, to -- you know, I think 1 could go to 2.75 and
19 3.25; right? So one doesn't -- not locked into the IEER
20 values if that's -- you don't --

21 MR. SACHS: Andrew, let me see if presenting it
22 row-wise instead of column-wise speaks to the geeks
23 easier.

24 (Laughter.)

25 MR. RAMIREZ: What?

1 MR. SACHS: So the proposal for a large, very
2 large -- small, large, and very large.

3 MR. RAMIREZ: I think he said "us geeks," sorry.

4 MR. SACHS: This is Harvey. Is 3, 3, 3. Or 3,
5 3.5, 2.5 were that small, large, very large.

6 MS. MEYERS: What was the second one?

7 MR. SACHS: I'll do it slowly. 3 --

8 MALE SPEAKER: Can you say that more slowly?

9 MR. SACHS: 3, 3, 3, or 3, 3.5, 2.5.

10 MR. THARP: And what were your quads for each
11 one of those?

12 MR. SACHS: They're essentially identical at
13 14.8 and 14.9.

14 MR. deLASKI: One, 14.8 and one, 14.9.

15 MR. THARP: So can you give us five minutes?

16 MR. SACHS: Sure.

17 MR. deLASKI: Is that okay, team?

18 MR. SACHS: And your question was: Is there an
19 option 3 --

20 MR. THARP: Yeah.

21 MR. SACHS: -- at the same hit, and I -- I
22 don't -- we're open.

23 MR. THARP: Okay. We'll be back in five.

24 MR. RAMIREZ: All right. Thank you.

25 (Recess taken.)

1 MR. RAMIREZ: Well, that was -- you guys were
2 solid on the five minutes. Nice job.

3 MR. THARP: Do we have more time?

4 MR. RAMIREZ: No, no, no, you don't. All right.
5 So what are you thinking?

6 MR. THARP: Okay. So actually, one thing I just
7 remembered, somebody asked me since this is all court
8 reporter if it's -- if you're on record, is everything I
9 say on the record. I said yes. So they told me that I
10 need to say "Go Cowboys." So I'm planning -- already
11 planning my trip to San Francisco for February of 2016.
12 Okay.

13 FEMALE SPEAKER: Against the Bills.

14 MR. RAMIREZ: Now you're out of time. All
15 right. Let's hear --

16 (Laughter.)

17 MR. THARP: All right. So we would like to
18 propose our option 3, which is taking the IEER delta
19 across the board from a 0.3 back to 0.2. By our back of
20 the envelope calculations, that's half a quad.

21 Based on discussion with Greg, it's a .4 quads.
22 So that gets us to 14.7, if you take Greg's number. And
23 we are also be willing to go to a .7 delta across the
24 board for heat pumps instead of a .7, .8, 1.0. And
25 ballpark, we're guessing that's the -- at least a tenth

1 of a quad, which gives us to the 14.8 range.

2 MR. deLASKI: Say that again, slower.

3 MR. THARP: Zero --

4 MR. deLASKI: We're talking about the -- go
5 ahead.

6 MR. THARP: So it's keeping our offer of 3, 3,
7 2.5, changing the IEER delta for gas heat from 0.3 to
8 0.2, and changing the IEER delta for heat pumps from
9 .7/.8/1.0 to .7 across the board.

10 MR. deLASKI: So Greg calculates that to be
11 worth --

12 MR. THARP: Greg calculated the gas heat delta
13 to be .4, and we didn't discuss the calculations on the
14 heat pump IEER. But it's roughly -- I guess my
15 approximation, as an engineer, is it's about the same.
16 As course there's less volumes on heat pumps, so just my
17 back calculations is that's at least a tenth, if not
18 two-tenths.

19 And Greg, I just -- off the cuff, your thoughts
20 are I'm correct?

21 MR. ROSENQUIST: Yeah, I mean, since we were
22 close on, you know, the other heatings calculation
23 similar matter, then I would assume I would get the same
24 sort of result.

25 MR. deLASKI: But your math, Rusty, is that

1 takes your offer to 14.7 quads?

2 MR. THARP: Total 14.8, 14.8 or 14.9.

3 MR. SACHS: I'd like to ask for a few minutes.

4 MR. RAMIREZ: All right. The clock has started.

5 (Recess taken.)

6 MR. RAMIREZ: All right. Let's get started.

7 MR. THARP: So before you get started, I need to
8 make a correction to what I said earlier -- a
9 clarification, rather, a clarification. It's Dallas
10 Cowboys, not Oklahoma State Cowboys.

11 MR. RAMIREZ: Now that the record is straight,
12 Andrew?

13 MR. deLASKI: So we have an agreement with a
14 contingency. Okay? So we have agreement with a
15 contingency, and our contingency is that we want Greg --
16 we want the analyst to run the numbers. When we said
17 14.8, 14.9 was our bottom line, we'll go with 14.8, but
18 we meant that.

19 So we want to see the numbers run by the
20 analyst, if they hold up, then we're good to go. If they
21 don't, then, you know, you're going to have to nip and
22 tuck somewhere else, Rusty. Because we -- that's as far
23 as we're going to go.

24 And I know we're in the error factors, Bob, but
25 the error factor has been on a lower number every time.

1 So we -- we -- we'd like to see the numbers.

2 MR. THARP: Can you give us one minute?

3 MR. RAMIREZ: Sure, stretch the legs. A quick,
4 one-minute break.

5 (Recess taken.)

6 MR. THARP: Okay. So question to Greg, who's
7 going to win the Big 10 next year?

8 MR. RAMIREZ: Go Blue.

9 MR. THARP: Okay. So through the contractors,
10 how long will it take for you to crunch the numbers on
11 this last one? And not of the contractors, to Greg and
12 his crew, how long will it take you to crunch the numbers
13 to verify our last proposal?

14 MR. ROSENQUIST: I was just telling Javier that,
15 you know, I'm flying back tonight. I'll get this done
16 tomorrow, send it out to John, you know, that's my best
17 confirmation, right, or, you know, a set of numbers.
18 Whatever that means.

19 MR. RIVEST: We were thinking minutes.

20 MR. ROSENQUIST: Oh, you're thinking minutes?

21 MS. HOOTMAN: We just want to know.

22 MR. THARP: We just want to know about how long
23 will it take you to run those numbers.

24 MR. deLASKI: We've got Monday, right?

25 MR. THARP: We'll have the answer tomorrow,

1 right.

2 MR. WHITWELL: We don't want to be spending
3 Monday --

4 MR. RAMIREZ: Well, that would then go to
5 what -- assuming that the numbers hold up, who's going to
6 take a shot at drafting this term sheet?

7 MR. deLASKI: Well, on the other hand, Rusty, if
8 you got another couple tenths of a quad in your back
9 pocket --

10 MR. THARP: We don't.

11 MR. deLASKI: -- lay it out there, buddy.

12 MR. RAMIREZ: All right. Rusty, where are you
13 stashing the quads?

14 MR. THARP: So I think at this point industry
15 will go ahead and ask you guys to run the numbers and
16 then we'll go from there.

17 MR. RAMIREZ: All right. So let me --

18 MS. HOOTMAN: Let's have a conference call on
19 Friday.

20 MR. SACHS: This is Harvey, and I'm
21 misunderstanding something. We have made a commitment of
22 accepting contingent. Am I hearing the same thing or --
23 okay. Thank you.

24 MR. RAMIREZ: Okay. And then, thank you,
25 Harvey. That's where I was going.

1 MR. THARP: The industry accepts the offers of
2 contingency, and we'll wait to see also what the numbers
3 come out.

4 MR. WHITWELL: Yeah, I mean, they may -- this is
5 Bob Whitwell. So the issue is, we don't have nothing
6 more, either.

7 So the question is: What are we going to do on
8 Monday; right? Are we going to be finalizing the terms
9 sheet or are we -- are -- do we still -- are we still
10 arguing about a tenth of a quad?

11 MR. THARP: So then is it acceptable -- so I
12 have high confidence that the numbers are going to be at
13 least a tenth, if not more, on these quads.

14 So to the point you made, Javier, are we going
15 to -- who's going to develop the term sheet? Because I
16 think it would be a great idea to have the term sheet out
17 Sunday night at the latest so we all have a little bit of
18 time to review it before we have a teleconference,
19 because we don't need to be sitting on a teleconference,
20 you know, shuffling wordsmithing stuff.

21 MR. RAMIREZ: Right. So and that's a question
22 for the group. Who's going to -- and --

23 MS. MEYERS: So Javier, I don't mean to be flip
24 here, but this is about my fourth working group, and the
25 moderator always develops the terms sheet. So I thought

1 that was you.

2 MR. RAMIREZ: You know what, we normally had
3 not, but I could talk to -- I'll talk to John and we'll
4 work that out. We'll work it out.

5 MS. MEYERS: Okay. I mean, I just was
6 surprised --

7 MR. RAMIREZ: We'll work it out.

8 MS. MEYERS: Right. Okay.

9 MR. RAMIREZ: So as far as I'm understanding,
10 then -- and you know what, maybe let's do a tentative
11 vote on it, right, that assuming that everything works
12 out, then we're going to finalize the language and we'll
13 formalize the vote then. But let's see a show of thumbs
14 just to make sure that everyone's on -- in principal is
15 okay with what we're discussing.

16 MR. deLASKI: Before we do that, I think it's
17 worth highlighting a couple of points that we have left
18 that need some work and we might want to designate a
19 couple of working groups on those topics.

20 And one of them was the EER reporting because,
21 again, that struck me as needing some work.

22 MR. RAMIREZ: Okay. So that's Marshall and who?

23 MS. HOOTMAN: Karim or Nick, whatever, AHRI.

24 MR. deLASKI: I don't think I have time the next
25 three days. I --

1 MR. RAMIREZ: So Nick and Marshall will work on
2 the EER language?

3 MR. deLASKI: Yeah, and I -- I think DOE has an
4 interest in this. And so I think DOE probably would --
5 John's not here, but I think there's an interest in this
6 from the agency.

7 MR. RAMIREZ: So John's volunteered? He's
8 volun-told?

9 MR. deLASKI: Yeah.

10 MR. RAMIREZ: Okay.

11 MR. deLASKI: What else? I felt like there was
12 something else out there that we probably need to spend a
13 little time on here.

14 MR. THARP: The test procedure wording.

15 MR. deLASKI: The test procedure wording
16 (simultaneous talking) oh, and the fan and blower piece.

17 MR. RAMIREZ: So test procedure?

18 MS. HOOTMAN: Yeah, you mean the part that you
19 read --

20 MR. deLASKI: Well, yeah, so that's fine for us.
21 I'm just not sure how it works in a terms sheet. Because
22 again, the problem is that we're binding these -- the
23 terms sheet is something that the agent -- I need to
24 under -- I don't understand. Again, back to what I said,
25 preface that with how what we as stakeholders agree to

1 effects how the working group. Right, so I just have a
2 mechanics issue.

3 MS. HOOTMAN: But your other statement that you
4 raised (inaudible).

5 MR. deLASKI: Yeah, so I think that's a question
6 back to the agency, which is, I think a question for the
7 agency. So maybe that's -- I don't know if John -- is
8 John listening in? Do we know?

9 MR. RAMIREZ: Yeah, I thought he was, but I
10 don't think he has --

11 MR. deLASKI: So Javier, I guess I'd ask you to
12 bring that back to John as a question how to handle what
13 we've agreed to -- tentatively agreed to conceptually as
14 a mechanical matter.

15 MR. RAMIREZ: Okay.

16 MR. deLASKI: Maybe it's not purely mechanical
17 is what I'm concerned about.

18 The fans, the EER, and what was the third thing
19 you said, Karen? Was the --

20 MR. THARP: The test procedure.

21 MR. deLASKI: Oh, the test procedure? Language
22 of the test procedure.

23 MR. RAMIREZ: I'm sorry, that's the EER;
24 correct?

25 MR. deLASKI: No, it's different.

1 MR. RAMIREZ: So what's the test procedure?

2 MR. deLASKI: I think we had that. We had it,
3 we agreed to that.

4 MR. WHITWELL: We agreed to the test procedure,
5 so just the question is the -- (inaudible).

6 MR. deLASKI: Right. Yeah, so I think what we'd
7 want to see --

8 MS. HOOTMAN: Say our names I guess.

9 FEMALE SPEAKER: If you're going to speak, have
10 your microphone on (inaudible).

11 MR. deLASKI: So what I would look for -- what I
12 would hope, Javier, is that we can have a terms sheet
13 drafted for review by, you know, COB Thursday think that
14 we have to leave some things to -- you know, because
15 we're trying -- we're meeting on Monday?

16 MR. RAMIREZ: So the numbers to make sure that
17 this is a deal will be tomorrow.

18 Marshall and Nick, can you get us the language
19 by the end of tomorrow as well? (Inaudible.)

20 MALE SPEAKER: Yes.

21 MR. RAMIREZ: By the end of tomorrow, can you
22 and Nick work out the language for the EER?

23 MR. deLASKI: And you need to consult with the
24 agency.

25 MR. HUNT: Yes. And we've got to get Cymbalsky

1 involved somehow. Trying to catch a plane right now.

2 MR. RAMIREZ: All right. Yeah, so let me take
3 that tentative vote. Let me see a show of thumbs that
4 assuming that we work out the language that everyone's
5 onboard.

6 All right. And there's one person, Steven? I
7 don't think she's on or Michael -- Michael Shows, is his
8 mic on? Michael, you okay with it?

9 All right. So I'm not hearing a thumbs down.
10 Okay. He said yes? Okay. All right.

11 Any other logistics, then?

12 MS. MEYERS: Monday at 9:00 a.m.?

13 MR. RAMIREZ: 9:00 a.m. and we will e-mail out
14 the link and the call-in number. Okay.

15 So congratulations, a bit rush, a bit
16 anti-climactic, but we'll -- congratulations. And we do
17 need one last piece of business to offer public comment.

18 MR. deLASKI: By the way, Nick voted thumbs up.

19 MR. CYMBALSKY: Okay. Thank you.

20 MS. MEYERS: Hi, it's Karen. So Cymbalsky,
21 where's the champagne, Cymbalsky?

22 MR. RAMIREZ: Michael?

23 MR. McCABE: This is Michael McCabe. On the
24 test procedures, it wasn't clear -- you had the January
25 '19, '16 date to January '19, 2016, 2019. It wasn't

1 clear what you expected by January of 2016. Because
2 there's no way the department can publish a proposed rule
3 by that date just to make -- that you'll start working on
4 it and have the final rule published by three years after
5 that.

6 MR. RAMIREZ: Yes. Okay. Thank you.

7 Any other public comment? Are the mics opened
8 up, Alex?

9 MR. SACHS: This is Harvey. And just, thank you
10 to everybody. Thank you for DOE for authorizing the
11 consultants work in advance to get this thing started.
12 Thank you to you guys for doing your job, and to all of
13 my colleagues on both sides -- all sides of this table.

14 MR. RAMIREZ: Thank you, Harvey.

15 Are the mics open? Okay. So no public
16 comments, then? Congratulations, and I'll hear you all
17 on Monday.

18 (End of audio.)

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE OF REPORTER

I, Kylie S. Shepherd, Certified Shorthand Reporter, CERTIFY I was authorized to transcribe the proceedings, and the foregoing transcript is a true and accurate record.

I FURTHER CERTIFY that I am not a relative, employee, attorney, or counsel of any of the parties, nor am I a relative or employee of any of the parties' attorney or counsel connected with the action, nor am I financially interested in the action.

Dated this 12th day of June, 2015.



Kylie S. Shepherd

A	11:21 29:14	again 5:10	align 21:12,18	22:17 25:15
a.m 72:12,13	31:2	25:20 27:12	45:25	39:9 40:23
able 24:5	added 26:24	30:20 34:12	aligning 45:3	51:18 62:23
29:10	27:1	39:10 42:1	aligns 49:4,4	67:2
accept 17:10	adding 11:10	51:6 55:4	all 3:2,3 4:22	although
20:12 22:18	29:19,23	63:2 68:21	8:13 10:13	11:11 18:4
25:7	30:3	69:22,24	12:20 16:23	23:9 41:3
acceptable	additional	Against 62:13	17:5 18:13	56:15
17:1 22:6	11:7 21:15	agency 52:18	18:14,16,22	aluminum
67:11	30:3 36:21	69:6 70:6,7	19:4,16	52:9
accepted	address 25:9	71:24	20:12,25	always 24:14
24:18	25:14,14	agent 69:23	21:11,24	67:25
accepting	26:4 27:24	ago 9:5 10:14	26:22 28:5	am 57:16
19:16 22:21	30:23 35:18	31:3 49:12	28:10,20	66:22 74:7,9
66:22	35:20 39:8	agree 6:20 9:8	29:11,12,17	74:10
accepts 67:1	addressed	9:13,16,19	31:7 33:16	America 3:24
accessories	25:18,19,23	14:17 31:9	45:6,8,25	47:4
26:12 35:11	36:4	31:18 37:25	47:2,17,21	American
35:12	addresses	51:18 53:14	48:14 51:16	51:22 52:5
accessory	45:24	55:4 69:25	53:23 54:3	Amrane 1:5
36:2,5	addressing	agreed 10:7	55:1 57:7,24	4:8,8 45:11
accomplished	26:5 37:17	70:13,13	59:9 61:24	46:10
59:1,9	ADEMs 29:12	71:3,4	62:4,7,14,17	Amy 2:4 4:11
accordance	adequate	agreeing 45:3	64:4,6 66:12	analyses 20:4
6:3	26:20	49:3	66:17 67:17	49:14
account 8:16	adjustments	agreement	72:2,6,9,10	analysis 6:7
20:5 36:5,9	7:15	35:24 37:10	73:12,13,16	8:16 11:11
accurate 7:9	adopted 58:5	37:13 52:23	Alliance 3:16	11:13,22
74:6	adoption	64:13,14	Allied 3:14	12:16 19:16
ACEEE 3:12	24:19	ahead 3:3	15:12	19:20 20:3
achieve 58:1	advance 73:11	18:22 26:14	allow 27:24	20:11 40:10
across 6:24	advocate	54:3 57:2	31:6	40:19,21
40:12 41:2	18:23	63:5 66:15	allows 16:22	41:3 43:13
41:19 62:19	advocates 9:7	AHRI 3:10 4:8	almost 7:25	43:14,18
62:23 63:9	10:11,16	4:11 9:13,15	43:25 54:24	46:2,4,13
action 13:18	12:2,3 37:8	27:19 36:7	along 9:23	48:13 49:21
14:5 74:10	37:24 39:22	45:11 55:5,7	30:21 33:16	49:23,24
74:11	54:12,17	55:7,14,15	39:19 45:25	51:17,19
actual 7:2 20:5	AEDMs 18:3	68:23	already 29:18	58:2
actually 5:18	affordable	air 1:1 3:14,23	29:23 34:1	analyst 64:16
7:1 9:3 12:11	52:4	9:12 15:12	42:12 52:5	64:20
22:3 41:4	after 7:14	15:15 21:19	62:10	Anderson 1:6
62:6	18:11 29:2	37:10	also 14:24	3:19,19
add 10:2 11:6	57:1 73:4	Alex 73:8	16:11 18:14	Andrew 1:10

3:21 17:18 18:10,24 19:4 28:4 29:4 31:15 31:24 45:11 47:12 53:17 54:15 56:24 60:21 64:12 Andrew's 31:15 anomaly 43:12 43:13,18 another 6:17 18:18 25:12 34:12 60:4 66:8 answer 32:5,8 33:12 45:22 65:25 anti-climactic 72:16 antiquated 6:10 anyone 14:17 53:24 anything 11:6 11:6 15:4 26:5 29:14 30:16,19 anyway 11:20 26:18,22 43:3 apologize 12:13 Appliance 3:21 applied 38:23 apply 38:25 appreciate 12:19 19:8 54:10,12 57:4 approach 21:6 37:25 45:24	49:3 approximately 55:20 approximate... 63:15 area 6:17 aren't 36:22,22 60:3 argue 46:8 argued 40:12 arguing 46:7 67:10 argument 40:15 arguments 37:3 arise 49:15 arises 53:7 around 20:25 21:21,25 22:11 31:15 arrogance 13:7 article 6:2,3 ASHRAE 10:5 10:6,8 23:15 23:23 24:1,7 24:15 44:21 54:22,25 55:5 ask 53:19 64:3 66:15 70:11 asked 46:15 48:17 49:17 62:7 aspect 26:18 aspects 23:17 ASRAC 1:1 17:12 assigned 17:14 assume 63:23 assuming 66:5 68:11 72:4	attain 50:10,20 attorney 74:8 74:10 audio 2:19 73:18 authorized 74:4 authorizing 73:10 available 6:10 36:2 57:19 average 49:20 51:13 aware 5:10 Awareness 3:22 awful 5:4 10:25 <hr/> B B 10:2 23:1 34:21 back 5:1 15:13 17:17 18:11 18:23 19:10 26:25 28:10 28:20 30:9 31:11 36:7 39:14 40:9 43:13 47:1 53:17,23,24 54:1,4 56:22 60:6 61:23 62:19,19 63:17 65:15 66:8 69:24 70:6,12 bad 51:8 bakers 19:14 ballpark 17:19 62:25 banter 5:17 bargaining 59:6	base 7:10 8:4 8:7 based 8:4,9 10:23 18:5 62:21 basic 31:5 44:11 52:8 basically 7:24 16:16 26:11 basing 10:15 basis 19:17 20:11,12 Battaglia 1:7 4:7,7 before 11:7 17:3,20 18:16 20:10 24:16,20 29:3 57:7 64:7 67:18 68:16 begin 44:14 being 6:9 17:24 24:5 55:11 57:19 believe 6:5 10:17 16:17 21:16,17 41:4 50:23 50:24 51:2,3 55:23 below 41:11 58:4,25 benefit 20:19 45:20 benefits 20:23 20:23,24 besides 59:19 best 10:15 58:14 65:16 better 19:22 20:18,21 25:14 27:2 34:12 50:11	59:2 between 17:6 44:18 55:20 beyond 24:21 34:24,25 58:10 big 7:1 10:9 35:22 40:22 42:6 57:24 59:14 65:7 biggest 5:14 Bills 62:13 binding 69:22 bit 13:12 31:17 34:16 67:17 72:15,15 bite 42:6 53:25 53:25 blast 6:9 blend 60:17 blower 69:16 blowers 10:1 13:17,25 14:4 15:2 22:23 Blue 65:8 board 6:25 40:12 41:2 41:19 62:19 62:24 63:9 Bob 3:8 5:16 11:9 12:17 36:17 64:24 67:5 border 51:22 bosses 50:14 both 41:15 47:14 73:13 bothered 49:12 bottom 64:17 bought 9:1,3 box 7:1 Branson 1:8
---	--	--	---	---

4:21	call-in 72:14	champagne	clothes 32:25	25:5
break 18:20	came 10:16	72:21	33:23 34:3,4	commit 16:18
65:4	12:3,4 20:15	change 10:9	CO2 20:24	commitment
bring 25:16	40:9 54:23	13:21 50:16	COB 71:13	66:21
70:12	capital 49:8	changed 51:14	code 23:17	commits 9:13
bringing 12:20	captured	changes 6:20	24:6 32:16	committed
broad 27:4	26:21	30:4	code-readin...	16:23
30:13	care 39:5,6	changing	25:2	committee
buddy 66:11	careful 30:2	15:11 63:7,8	codes 24:18	15:25 17:13
build 31:5	Carrier 3:8	Charles 1:21	colleagues	27:19 36:7
building 23:17	11:10	Charlie 3:23	73:13	common 52:8
24:6,18	case 8:4,8	check 55:15	column-wise	companies
27:20	20:7	cherry 51:15	60:22	8:25,25 9:2,3
buildings	casting 30:12	choose 33:4,8	combination	46:3
23:16	catch 54:4	53:9	44:20	company 8:20
built 45:2	72:1	chose 8:7	combined	8:20 9:3
bump 40:18	categories	Chris 1:12 4:4	23:8	13:13 27:15
58:20	41:23	4:12	come 20:25	47:3,4,8,9
burden 15:9	category 57:24	circumstanc...	23:12 24:20	compared
21:13 30:3	caucus 13:14	16:24	32:13 35:18	12:15 44:15
37:18	16:8 19:7	claim 12:2	35:19 39:14	44:23 45:14
burdensome	37:8,24 39:1	clarification	41:15 45:23	46:15,17
21:2	56:9,12,17	23:3 64:9,9	51:16 53:17	58:3
business 8:19	caused 51:24	clarified 24:8	54:11 57:23	comparing
72:17	CEO's 13:8	clarify 13:6	58:23 59:4	54:17
buy 9:3	certain 18:17	17:24 22:25	60:6 67:3	compete 13:7
buying 8:9,11	certainly 31:4	clarifying	comes 23:9	competitor
8:12	certainty 59:7	11:25 12:12	49:13	49:11
	59:7	13:15 22:24	comfortable	complete 10:4
C	CERTIFICATE	35:11 45:10	45:9	22:20
C 1:4,13 3:1	74:1	clear 13:19	coming 10:17	completed
calculated	certification	15:4 47:13	54:13 55:19	22:14
63:12	31:4 35:24	47:14 72:24	55:20	completely
calculates	35:25 55:15	73:1	comment	15:9 45:9
63:10	certifications	clock 64:4	26:14 52:15	completion
calculation	31:6	close 18:6	72:17 73:7	9:22
63:22	certified 38:14	25:17 37:12	comments	compliance
calculations	74:3	40:17 63:22	11:7 73:16	34:6 58:8
62:20 63:13	CERTIFY 74:4	closely 20:10	commercial	complications
63:17	74:7	47:16	1:1 10:1	57:13
California 3:17	cetera 31:25	closer 40:15	13:25 14:4	comply 28:14
3:19	CFR 32:17	41:4 42:24	15:1 35:23	38:2 49:4,6,9
call 25:2 42:16	challenge	54:13	35:25	50:17
54:5 66:18	59:10	closing 52:3	commissions	component

8:5 38:12	31:23 39:19	contingent	37:4	22:1,5 33:24
components	54:11 57:21	17:23 66:22	counter-offer	34:10 35:4
36:1	57:23 58:16	continue 9:14	9:8	71:25 72:19
concept 37:20	60:10	19:18 52:24	counter-pro...	72:20,21
38:10	conservative	55:4,7	19:7 40:10	
concepts 31:6	50:13,15	continued	counting	D
conceptually	consider 22:7	37:18	19:12	D 3:1
37:23 70:13	considerably	continues	country 53:4	Daikin 9:5 47:4
concern 25:10	40:14	21:5	couple 9:5	Dallas 64:9
28:8	consideration	continuing	31:3 51:10	data 29:25
concerned	46:24	39:19	66:8 68:17	47:21 50:20
39:2 70:17	considering	contraction	68:19	date 9:22
concerns	27:21	8:17 9:5	course 13:10	21:18 33:19
11:13	consolidated	52:16	30:5 46:6	34:6 58:8
concession	13:3	contractors	63:16	72:25 73:3
37:9,9,16	consolidation	3:24 65:9,11	court 62:7	Dated 74:12
58:6	13:4	conversation	cover 44:17	dates 21:12
conclude	construction	5:15 55:1	covered 14:2	45:3,25 49:4
14:10	24:20	56:21	38:1	Dave 2:12 3:14
conditioners	constructive	convinced	covers 58:23	4:21 15:12
1:1 21:19	48:16	24:10 37:22	Cowboys	David 1:8
37:10	constructs	cooling 23:11	62:10 64:10	day 74:12
conditioning	31:10	26:11	64:10	days 68:25
3:24 9:12	consult 71:23	copper 52:9	create 53:6	deal 16:12
conducted	consultant 4:9	correct 12:5	crew 65:12	35:22 47:20
30:6	consultants	14:7,8 36:3	crunch 65:10	71:17
conference	42:17 43:6	46:12 54:5	65:12	debate 46:22
66:18	45:17 73:11	56:7,7 63:20	crunching	52:24
confidence	consumer	70:24	31:21 57:1	decade 7:6
67:12	12:25 52:5	corrected 40:3	CUACs 9:25	decide 53:17
confident	consumes	correction	23:22	decision 12:22
19:20 40:16	26:12	64:8	cuff 63:19	19:19 53:3
confidential	consumption	cost 8:3,13	current 8:16	53:10
46:6	20:6,6 25:15	49:10,14,15	28:14 32:18	decline 51:4
confirmation	30:24 36:5	52:10	cut 43:22,25	decrease 8:5
65:17	39:7 40:19	costed 8:9	45:4	define 29:10
congratulati...	40:24	costs 20:18	cuts 58:10	39:16
72:15,16	contested	42:18 43:6	cutting 7:24	defined 24:17
73:16	46:4	49:6 50:20	CWAFs 9:25	definitely 18:7
connected	contingency	50:24	Cymbalsky 1:9	definition 5:25
74:10	16:16,22	counsel 74:8	4:2,2 13:16	del 1:11 4:20
consensus	18:2,6,8	74:10	14:3,5,9,13	deLaski 1:10
11:1 19:18	64:14,15,15	counter 10:16	14:16,21,25	3:21,21
21:9,20	67:2	counter-arg...	15:3,7,18	11:25 12:7

15:23 16:2,6 17:2 18:9 19:3,6,14 22:4,7,13 23:6,25 25:6 25:8 26:9,13 27:23 28:13 28:23 29:5,7 30:5,17 31:19,22 32:4,10,24 33:2,7,11 34:8,23 35:8 35:20 36:11 36:20 38:16 38:18 43:9 43:20 45:15 46:21 47:11 48:10,22 49:19 50:8 52:22 56:9 56:12,17,20 57:3 59:23 60:1,10,13 61:14,17 63:2,4,10,25 64:13 65:24 66:7,11 68:16,24 69:3,9,11,15 69:20 70:5 70:11,16,21 70:25 71:2,6 71:11,23 72:18 delay 42:18 deliver 20:19 delta 8:14 12:12 62:18 62:23 63:7,8 63:12 department 17:9 55:10 73:2	depends 30:3 describe 37:18 58:11 described 20:16 design 15:9 designate 68:18 desire 21:12 37:11 41:22 detail 38:14 details 27:13 57:9 determined 6:3 Detlef 2:9 4:13 4:15,18 develop 67:15 developed 32:11 development 21:17 develops 67:25 dialogue 48:18 Diane 1:16 4:16,19 difference 41:12 42:15 43:5 44:17 44:18 55:13 55:20 58:13 58:14,21,23 58:25 59:14 different 8:25 12:8 14:6,21 19:24 29:15 32:4,12,14 33:12 48:11 51:11 52:25 53:14 59:2 59:24 70:25 differently 15:9	difficult 19:9 36:12 direction 11:17 13:9 directional 11:15,16 directly 42:1 disagree 51:15 discount 50:22 52:18 discuss 5:24 63:13 discussed 8:2 10:13 23:19 23:21 27:14 32:21 discussing 5:5 9:25 68:15 discussion 20:12,13,15 28:2 45:16 47:25 62:21 discussions 17:6 dispense 57:6 division 47:8 docket 14:6,9 14:12 15:20 37:12 41:10 45:4 46:4 50:1 59:13 dockets 50:19 59:12 DOE 4:1,2 5:13 6:12,13 13:17 17:24 19:19 20:4 21:3 22:6,19 24:20 26:16 30:7,19,21 33:24 39:23 40:10 41:3,3 43:14 44:1 44:10 48:13	49:13,16,21 49:25 51:2 51:19 69:3,4 73:10 DOE's 49:23 49:24 51:1 57:11 doing 15:19 20:9 22:18 25:4 27:20 28:24 45:20 45:23 55:13 73:12 dollars 25:3 double-count 15:3 double-coun... 13:24 double-regu... 13:24 doubt 47:22 53:12 dozen 19:14 19:14,15 drafted 71:13 drafting 66:6 dragging 31:7 drilled 52:8 drive 51:5 drivers 50:11 drives 48:24 48:25 drop 41:16,24 41:24 42:9 53:15 dropped 43:16 dropping 42:6 dryer 34:3 dryers 32:25 33:23 34:4 due 51:24	e-mail 22:2 72:13 earlier 44:21 64:8 early 5:5 21:11 24:19 easier 60:23 eat 56:19 economic 7:10 20:23 economizer 6:16,17 35:13 EER 9:13 21:20 24:6 24:11,12,14 29:23 55:3,7 55:11,13 56:16 57:8 57:19 68:20 69:2 70:18 70:23 71:22 EER/IEER 24:7 EERE 6:13 effect 9:12 10:18 49:23 50:19 effective 21:12 45:3,25 49:4 effects 27:21 53:12 70:1 efficiencies 52:7 efficiency 3:16 6:1 38:1 39:5 51:25 effort 49:9 either 16:23 59:16 67:6 EL 8:15 EL-2.0 40:4 EL-3 10:12 40:20 EL-3.5 40:12
E				
E 1:4,4 3:1,1				

40:17,20 Electric's 12:22 Electrolux 13:12 elements 26:23 27:1 elephant 35:13 ELs 41:9 else 9:21 26:6 27:16 64:22 69:11,12 elsewhere 52:3 Emerson 3:25 emphasize 37:19 emphasized 57:18 emphasizing 38:10 employee 74:8 74:9 employment 7:14 encompass 27:20 end 11:14 16:19 17:20 27:9 39:9,12 71:19,21 73:18 energy 3:15 5:22,23 6:1,3 6:6,8,12 9:19 13:23 14:23 15:16 20:5 20:22,23 21:13 23:11 25:14,22 26:2,2,4,8,11 30:1,24 36:5 38:1 39:7 40:19,24	42:7 45:5,7 55:10 59:8 enforcement 17:22 engineer 63:15 engineering 27:11 entire 27:20 entirely 12:25 entities 36:21 37:1 envelope 27:20 62:20 environment 28:15 environmental 20:24 envision 32:7 equipment 6:2 10:19 27:3 40:25 41:17 41:18,20,22 41:25 42:2 43:17 44:16 49:22 57:22 erode 44:22 error 64:24,25 ESAP 4:12 especially 23:16 51:19 essence 44:11 59:5,6 essentially 24:19 61:12 estimated 5:13 7:17 estimates 8:3 et 31:25 event 8:10 eventuates 16:19 ever 24:16 every 26:18	64:25 everybody 10:5 27:16 36:15 73:10 everyone 3:2 5:2 54:10 everyone's 5:10 68:14 72:4 everything 6:24 8:8 9:21 58:7 62:8 68:11 exact 8:22 exactly 13:19 18:17 example 60:7 exchange 45:1 exclusive 26:5 exists 32:17 expanding 30:3,4 expect 20:19 50:13,14 51:6,7 54:24 expectation 32:20 expected 42:24 73:1 experience 20:9 explicitly 17:7 exposure 12:23 expressed 22:16 25:13 external 6:23 7:3 extremely 39:2 <hr/> F <hr/> face 5:17 facilities 52:3 fact 5:22 40:4	46:1 52:20 factor 7:16 51:24 64:25 factors 19:24 64:24 failures 6:17 fair 56:10 familiar 33:9 57:16 fan 13:23,23 14:23 15:5 25:14 26:2,2 26:4 38:3,5 38:11 39:11 39:15 45:4 69:16 fans 10:1 13:17,25 14:1,4 15:1 16:19 22:23 36:12 37:25 39:3,4,6,11 39:16 45:4 58:6 70:18 far 7:10 13:12 15:15 30:4 41:11 42:23 52:4 54:12 54:25 64:22 68:9 fear 27:7 feature 17:4 February 62:11 federal 3:6 32:16 51:25 52:18 feel 6:9,25 13:23 16:23 feels 6:18 felt 69:11 FEMALE 62:13 71:9 field 13:12	20:5 figure 34:19 fin 25:22 final 22:20 58:5 73:4 finalize 34:17 35:2 47:20 68:12 finalized 31:25 finalizing 67:8 finance 12:23 financially 74:11 find 55:24 fine 53:22 69:20 firm 42:22 first 5:1,19 35:9 fitted 13:8 five 34:22 38:6 44:9 55:16 61:15,23 62:2 flat 7:6 52:7 flaw 40:21 flexibility 45:2 49:3 flight 54:4 flip 67:23 floated 37:7 floor 4:23 54:7 flying 65:15 FMCS 3:7 focus 13:1 50:8 focused 45:12 folks 17:18 18:14 follow 12:1 24:2 follow-on 13:20 following
--	--	---	--	---

22:12 forecast 7:5,7 foregoing 74:5 forget 52:16 forgotten 31:20 formalize 68:13 forth 30:9 59:16 forward 16:20 57:24 60:5 found 49:19 four 29:21 44:9,13 fourth 67:24 frame 9:12 25:19,24 frames 9:17 framing 21:5 22:19 Francisco 62:11 Friday 66:19 friend 47:1 front 14:18 full 11:1 42:6 fully 55:10 funny 43:17 furnaces 9:8 21:9,14 45:4 further 5:5 17:3 58:10 74:7 future 24:9 42:23 43:1	13:11 geeks 60:22 61:3 general 12:22 26:16 generally 55:3 getting 8:21 27:4 37:10 37:13 41:5 44:20 49:18 give 5:23 6:6 6:21 9:10 18:19 43:5 45:25 47:24 48:6,14 54:7 61:15 65:2 given 7:10 8:3 43:19,20 gives 10:22,23 41:4 49:3 63:1 giving 6:18 7:4 43:24 49:17 go 3:3,3 8:10 9:11 10:18 15:13 16:20 17:3 18:22 19:10 24:18 26:14 28:6 28:10 31:11 32:15 36:7 39:3,12 40:23,24 41:10 44:12 44:13,15 54:3 55:9 56:10,25 57:2 59:4 60:18 62:10 62:23 63:4 64:17,20,23 65:8 66:4,15 66:16 goes 8:15 10:8	37:17 going 3:4 5:2 6:21 7:21 8:6 8:12,13,15 9:12,21 13:21 14:18 14:24 15:5 15:19 16:9 17:5,13,14 18:15 19:10 19:25 21:2 24:8 26:25 27:25 29:1,7 29:8 30:7,8 30:10 31:10 32:1 36:11 40:20,23 42:11 43:11 44:8 46:17 46:18 47:15 47:21,22,22 48:11 51:8 52:10 53:3,9 53:17 54:5 54:25 55:21 56:24 58:10 64:21,23 65:7 66:5,25 67:7,8,12,14 67:15,22 68:12 71:9 gone 33:16 58:8 good 9:20 16:18 19:1 20:11 25:18 27:10 28:4 40:6 45:6 46:8 54:6 57:5 64:20 Goodman 3:11 4:25 9:4 26:7 27:12 35:16 46:11 47:5,5	59:18 goods 8:20 12:25 13:1,2 got 5:14 15:6 21:9 25:20 34:19 43:10 49:10 50:17 50:17 52:6 57:11,23 58:16 59:21 59:22 65:24 66:8 71:25 gotten 8:19 government 24:17 Granda 1:12 4:12,12 great 52:24 67:16 greater 7:17 42:24 43:2 Greg 2:2 4:3 10:24 56:7 62:21 63:10 63:12,19 64:15 65:6 65:11 Greg's 62:22 GRIM 45:18,21 46:7 grimaces 5:16 ground 57:2 group 1:1 4:23 14:11 16:7,7 16:11 17:21 18:24 35:18 38:6,18,19 38:24 39:15 44:3 45:9 54:8 58:9 59:4 60:4 67:22,24 70:1 groups 17:2,7	68:19 grumbling 53:21 guess 9:9 11:5 13:18 15:20 23:2 25:16 26:16 33:15 35:16,17 39:17 48:1 54:14,21 56:18 57:7 63:14 70:11 71:8 guessing 62:25 guidance 17:23 guys 39:14 46:2 56:12 59:2 62:1 66:15 73:12
<hr/> G <hr/> G 3:1 gas 63:7,12 gather 5:5 gave 38:22 40:16 GE 8:19 13:6				<hr/> H <hr/> hair 31:13 half 7:6 18:9 56:20 62:20 half-hour 56:22 halfway 55:20 59:21,22,23 59:25 hand 66:7 handle 37:7 70:12 hands 24:9 28:1 hang 18:18 happen 24:8 28:25 29:1 37:13,15 43:2 44:9,10 50:15 happened 13:5 33:23

45:7 51:13 51:13,21 happening 33:18 43:1 happens 7:12 9:2 52:21 53:5 happy 45:10 57:21 Harvey 2:3 3:12 12:18 15:22 16:13 18:2 30:14 31:9 37:7 38:8,19 61:4 66:20,25 73:9,14 has 8:19 10:24 13:5 16:22 20:7 21:13 21:17 28:17 28:18 41:18 51:12,13,23 57:5 64:4,25 69:3 70:10 haven't 22:2 31:20 having 22:18 hear 31:14 37:2 41:20 62:15 73:16 heard 21:13 35:8 41:17 42:15,16 48:14 57:7 hearing 17:12 41:21 42:5 66:22 72:9 heat 62:24 63:7,8,12,14 63:16 heatings 63:22 help 29:25 helpful 24:6	34:15 helps 44:16,17 here 5:1 10:9 13:20 15:15 15:19 17:7 18:23 20:2 22:10 24:21 25:13 28:2,5 36:11,16,22 36:24 37:24 38:4,7 39:2 43:13 44:8 44:11 45:2 45:15 50:8 53:21 55:2 55:24 56:12 57:2,10,13 59:6 67:24 69:5,13 here's 8:20 37:22 48:22 Hermosillo 3:7 3:7 hesitant 14:22 hesitate 48:15 Hi 72:20 high 6:25 67:12 higher 6:24 highlighting 68:17 hill 20:1 history 5:13,20 7:5 hit 57:2 61:21 hold 64:20 66:5 Hootman 1:13 3:9,9 13:21 14:4,8,11,14 14:19,22 15:1,5,8 16:10 24:12 24:14,23	28:4,17 29:6 29:9,17,20 30:15 31:1,9 31:18 32:21 32:25 33:3 33:10,14 43:8 50:4 65:21 66:18 68:23 69:18 70:3 71:8 hope 22:7 29:24 31:4 31:22 59:15 71:12 hopeful 52:22 hopefully 40:8 hour 5:3 18:9 56:20 hours 5:6 19:3 47:18 However 22:17 Huang 1:14 4:20 huge 11:18,19 11:20 28:8 37:8 58:6 hungry 56:11 Hunt 1:15 3:17 3:17 24:4,4 24:13,22 25:1 35:10 35:10 36:10 43:19 56:14 56:14 71:25	23:7 27:2 29:4,6 37:7 67:16 ideas 60:5 identical 61:12 IEER 9:18 16:23 23:13 23:20,20,24 24:11,15,16 24:18 29:18 32:11,19 34:17,21 38:2 40:18 40:23 43:16 60:19 62:18 63:7,8,14 impact 7:17 15:19 45:13 47:23 48:24 49:25 50:1,9 51:22,23 impacts 49:14 49:15 50:23 51:5 imperfect 20:13 implementat... 10:22 implemented 23:23 important 21:17 22:15 36:25 57:17 improve 11:12 19:9 IMPV 45:13 46:20 inaudible 70:4 71:5,10,19 incentives 50:16 include 9:18 14:1 included 10:1	10:6 36:1 including 5:23 6:6 13:22 14:23 15:15 15:15 inclusion 6:18 incorrect 27:5 increase 7:7 8:6 49:1,20 52:10 increased 15:8 40:19 41:7 increasing 15:16 indicator 11:16 individual 46:5 individuals 36:22 industrial 6:2 10:1 12:25 13:2 industry 4:23 5:24 6:18 7:19 8:18,21 11:3,7 13:2,3 13:8 19:7 20:18 21:2 23:10 27:14 28:22 40:3 45:13 46:25 47:14,16 51:23 52:17 53:20,22 54:8,9,18,21 66:14 67:1 information 5:6,9 10:23 45:18 55:9 initial 10:11 12:15 54:14 initiate 22:19 30:22 initiated 30:19
I				
		I'd 31:2 64:3 70:11 I'll 4:23 46:11 48:9,22 57:6 61:7 65:15 68:3 73:16 idea 16:18		

inside 46:3	IOUs 3:18,20	69:5,7	22:4 24:1,8	16:16 22:8
insight 51:12	IPOV 24:16	jump 47:12	24:17 25:8,9	68:12 69:2
installed 7:1	Isael 3:7	June 1:3 74:12	25:22 26:1	70:21 71:18
instead 9:22	issue 12:19		26:13,13,24	71:22 72:4
60:22 62:24	18:4 22:20	K	27:7,8,24,25	large 5:19
intent 23:20	36:25 47:7	kahuna 10:9	28:15 29:10	10:21,21
26:8	48:24,25	Karen 1:22	30:2,8,24	41:2 42:3,3,4
interest 37:10	53:14,15	3:13 47:1	32:14,16	42:4,8,10,12
57:6,11 69:4	67:5 70:2	51:9 56:11	33:12,20	43:8 44:16
69:5	issues 39:2	70:19 72:20	37:6,12	44:21,25
interested	item 6:8 22:25	Karen's 47:6	38:20 39:13	55:22,22
74:11	items 36:6	Karim 1:5 4:8	40:13,19	56:6 58:17
internal 6:13	iteration 28:25	45:11,16,21	42:5 44:22	58:18,19,22
interpreting		68:23	44:24 45:21	58:22 60:13
42:1	J	keep 10:18	45:22 46:1	60:14 61:1,2
interrupt 22:10	J 1:19 2:10	11:23 25:4	46:16,18,25	61:2,2,5,5
interrupting	jacked 6:24	36:11 42:11	47:3,3,11	larger 8:15
16:14	Jakobs 1:16	52:4,12	48:12,12,14	47:8
intimated	4:17,20	53:15 55:18	48:14 49:11	largest 5:13,20
32:13	James 1:7 4:7	keeping 27:17	49:13 50:13	last 5:7 7:6 8:2
into 4:22 8:16	January 9:19	53:20 63:6	51:15 52:9	9:8 11:12
9:12 10:8	9:21 22:20	kick 29:8	52:11,12,13	12:7 17:21
12:25 17:5	22:21 30:22	kicking 14:10	52:15,19,23	46:14 54:19
20:5,15,15	30:23 72:24	kicks 33:6,8	52:23 53:2	54:23 55:22
23:2,14 25:3	72:25 73:1	48:13	53:15 54:15	58:8,9 65:11
27:1 28:6,20	Javier 1:25 3:6	kind 19:22	54:17,19,24	65:13 72:17
31:8 32:16	65:14 67:14	24:5 26:25	55:15 57:5,8	late 5:3 21:18
38:17 39:3	67:23 70:11	30:18 35:12	57:11 58:3	later 22:16
46:22 48:15	71:12	38:3 45:1	59:2,12	23:18 34:23
49:9 51:12	Jill 1:13 3:9	48:12	60:18 63:22	44:9,9,13
52:8 54:25	31:14	Kito 1:17 4:1,1	64:21,24	latest 67:17
60:19	Jim 1:11 4:20	knew 17:5	65:15,16,17	Lau 4:4,4
introduced	job 19:1 50:13	know 5:2 7:23	65:21,22	Laughter
17:4	51:6,7 62:2	8:21 9:2	67:20 68:2	60:24 62:16
introducing	73:12	10:10 11:19	68:10 70:7,8	lay 66:11
24:1 34:2,11	jobs 51:21,22	11:21,23	71:13,14	LBNL 4:3
34:14	52:2,17 53:1	15:10 16:8,8	knows 8:22	leads 7:16
introductions	John 1:9 4:2	17:3,9,11,16	Kylie 2:19 74:3	learned 31:3,5
3:4	13:16 15:13	17:20 18:1	74:17	least 19:21
inventory	17:11 22:1	19:8,15,17		23:1 40:6
33:21	33:24 47:1	19:23 20:1,9	L	41:5 57:14
invest 53:7,8,9	65:16 68:3	20:15,16,19	lab 31:8	59:3 62:25
involved 30:8	70:7,8,12	20:21 21:1	lack 13:6	63:17 67:13
72:1	John's 17:12	21:10,15	language	leave 24:12

27:4 35:21 42:13 47:10 60:2 71:14 leaves 19:23 58:17 leaving 31:16 left 68:17 legs 65:3 lends 27:18 lengthy 45:16 less 7:2 21:2 41:22 44:4,5 45:7 54:19 59:4,8 63:16 lessons 31:3 level 8:4,7,14 8:15 34:17 40:16,17 41:10,16 42:12 44:5 44:18 49:16 levels 7:14,20 41:11 42:19 43:16 44:1 44:21 45:3 45:13 50:10 54:17 life 6:19,21 like 6:15 10:10 14:24 18:15 23:24 24:15 30:6,18 31:2 42:17 53:22 54:15 62:17 64:3 65:1 69:11 likely 24:20 limit 25:17 limited 25:22 27:9 Linda 2:11 4:20 line 23:10 64:17	lined 13:19 lines 30:21 link 36:14 72:14 list 19:11 22:2 listen 59:20 listening 70:8 literally 33:20 33:21 litigation 19:25 little 12:8 13:11 23:3 34:16 36:13 67:17 69:13 live 11:4 35:21 38:3,24 locked 16:24 60:6,19 logistics 72:11 long 1:14 4:20 20:8 23:20 36:1 37:17 59:4 65:10 65:12,22 longer 13:8 15:10 look 7:5 11:22 15:14 26:17 26:19,22 38:23 44:7 45:12 47:21 52:20 71:11 looked 50:19 looking 11:21 20:17 32:3 39:25 43:25 44:8 47:16 54:13 looks 14:24 18:15 26:17 42:17 loophole 39:12	loophole-pr... 39:17 lose 44:12 loss 44:23 losses 44:22 lot 5:4 8:17 10:25 21:13 22:4 36:13 36:25 38:14 39:4,4,6,7 42:22 44:3 45:6,20 49:8 49:8,8,8 52:2 59:12 lots 11:13 19:24 50:11 Louis 2:6 3:15 26:14,15 38:19 low-wage 53:4 lower 7:20 41:18,19 42:2 64:25 lowest 49:10 lunch 18:16,19 56:10	33:18 48:24 53:2 manufacture... 11:4 46:5 50:23 manufacturi... 51:21 many 15:14 16:6 49:13 margin 7:22 7:23 49:25 50:1,3 margins 7:11 7:18,19,24 51:14 market 49:15 Marshall 1:15 3:17 21:21 21:25 22:6 24:2,4 35:10 56:14 68:22 69:1 71:18 Marshall's 25:10 57:18 Mary 1:6 3:19 materials 8:6 math 12:2,8 41:3 42:14 63:25 matter 46:1 63:23 70:14 matters 46:2,5 max 46:16 may 20:1,13 38:9 53:6 56:16 67:4 maybe 6:13 17:3 18:18 19:22 23:12 27:1 32:7,12 32:13 33:22 52:1,19 68:10 70:7 70:16	McCabe 1:19 4:9,9 72:23 72:23 McClive 1:20 4:21 McCrudden 1:21 3:23,23 mean 15:24 25:7 26:4,14 26:15 27:7 28:8,13 29:16 31:10 35:24 42:3 48:6 58:15 60:3,4 63:21 67:4,23 68:5 69:18 Meaning 28:25 means 6:1 65:18 meant 26:1 64:18 measurably 7:15 measure 16:21 29:25 mechanical 23:11 70:14 70:16 mechanics 33:8 37:6,21 70:2 mechanism 17:15 Mediation 3:6 meeting 1:2 40:9 71:15 meetings 21:12 Meg 2:8 4:20 38:20 members 9:15 11:5 16:11 55:6
M				
		Maddox 1:18 4:21 made 6:20 7:15 47:13 58:6 66:21 67:14 mainly 18:13 major 8:20,20 12:24 37:16 making 37:3,9 MALE 34:24 34:25 61:8 71:20 manufacture 52:3 manufacturer		

membership 16:3,4	4:9 48:7 72:7 72:7,8,22,23	moderator 67:25	N	57:18
mentioned 10:14 13:17 54:16	microphone 71:10	modifying 9:18	N 1:4 3:1	negotiations 36:15 57:15
method 9:16 9:18,23 10:2 10:4 20:7 22:13,14 23:1 28:1 30:6,7 31:25 32:17 35:9 39:8	mics 73:7,15 might 11:6 24:10 26:23 26:23 27:5,5 27:9 28:19 34:2 68:18	moment 22:23 53:6,7	names 71:8	neighborhood 41:5
methodology 28:18	Mike 2:1 4:5 46:12,18 48:1	Monday 65:24 66:3 67:8 71:15 72:12 73:17	narrow 27:17	neither 38:19
methods 25:12	millions 25:2 39:3	month 11:12	narrowed 58:16	net 39:25
metric 8:14 10:5 13:25 14:23 15:6 15:11 23:2,8 23:9,10,14 27:2,10 28:11 29:18 32:1,1,2,11 33:22,22 34:18,20 38:2	mind 11:23 23:3 40:8 53:21	more 8:13 13:2 15:8 22:22 23:3 27:1,3 27:14 28:5 29:15,19,23 31:6 36:25 40:14 42:4 45:2 46:1 47:14 49:3,4 52:9,9,10 57:16 61:8 62:3 67:6,13	nature 23:13 36:8	Neto 1:24 4:6 4:6
metrics 32:3 32:22	minds 28:5	morning 5:7 19:8 41:7,20 45:17	Navigant 4:4,5 4:6,7,18 5:8 8:2 46:13	new 13:8 23:16 24:19 28:9,11,13 28:14,17 29:11 31:25 32:1 33:22 34:2,3,5,6,7 34:11,13,14 34:17,18,19 53:11
Meyers 1:22 3:13,13 17:20 31:24 32:9 34:15 35:1,6 48:20 49:18 50:2 51:9 53:13 59:21 61:6 67:23 68:5,8 72:12,20	minimum 51:25	most 23:9	nebulous 31:17	next 7:8 22:20 23:21 28:25 35:4 55:18 65:7 68:24
mic 35:15 48:8 72:8	minute 10:14 41:15 65:2	move 10:20,21 12:25 41:14 53:3 55:21	necessarily 6:20 7:9 9:9	Nice 62:2
Michael 1:17 1:19 2:5 4:1	minutes 18:18 47:18 61:15 62:2 64:3 65:19,20	moved 51:21	NEEA 26:15	Nicholas 1:23
	Mislak 1:23 3:10,10	movement 41:8 44:3	need 13:14 15:13 17:19 26:23 36:4 37:4,20 53:16,20 56:15,16,19 57:15,19 62:10 64:7 67:19 68:18 69:12,23 71:23 72:17	Nick 3:10 68:23 69:1 71:18,22 72:18
	missed 11:6	moves 12:23	needed 27:1	night 5:7 8:2 46:14 67:17
	misundersta... 66:21	moving 18:6 52:2	needing 68:21	nip 64:21
	misundersto... 36:18	much 6:14,14 7:16 10:7 12:19 13:11 17:19 34:23 42:18 52:13 52:14 53:19 53:22 56:18 56:19 59:11	needs 13:23 46:23	non-mechan... 26:11
	mode 26:21		negative 46:19	NOPR 19:21 20:20 40:6 40:17 41:5 41:11,11 43:22,24 44:6,16,18 45:8 54:17 58:3,5 59:1
	model 6:8,9 31:5		negotiate 20:2 38:21 39:10	NOPR's 41:12
	modeling 6:15		negotiated 34:20	nor 13:24,24
	models 7:1,10 28:11,20 29:11,12 31:11,12 34:2,11,14 45:19		negotiating 24:21 32:19 34:17	
			negotiation 19:17 20:14 20:16 21:18 36:16 37:1	

38:19 74:8 74:10 normal 54:10 54:22 normally 54:24 68:2 Northwest 3:15 note 5:10 10:15 46:5 notes 5:1 43:10 nothing 67:5 notion 22:18 27:23 nuance 38:14 number 5:19 5:21 6:8,16 6:19,23 7:4 7:13,14,18 8:1 11:19,20 11:20,20 23:1 26:20 31:20 40:7 43:14,21,22 44:25 51:24 62:22 64:25 72:14 numbers 9:10 28:11,18,21 43:7,15 48:2 48:9,12 51:11 55:24 56:3 60:8 64:16,19 65:1,10,12 65:17,23 66:5,15 67:2 67:12 71:16 nuts 59:13	objectives 20:22 observe 49:15 observed 49:20 50:19 obviously 38:14 47:15 off 7:15 10:15 14:10 19:12 30:17 34:16 47:10,11 63:19 off-the-record 5:15,17 56:21 offer 10:11,20 12:5,8,11,14 12:15 19:9 54:12,19,23 57:4 63:6 64:1 72:17 offers 67:1 oh 65:20 69:16 70:21 okay 5:17,18 12:4 16:13 18:20 19:6 22:13 23:24 25:6 31:1,19 32:4,9 33:10 33:11 34:15 36:22 37:2 37:14 39:18 40:18 41:17 42:15 46:22 48:22 49:6 54:6,9 56:24 57:11,22 61:17,23 62:6,12 64:14 65:6,9 66:23,24 68:5,8,15,22 69:10 70:15	72:8,10,10 72:14,19 73:6,15 Oklahoma 64:10 old 33:22 34:1 onboard 27:17 55:11 72:5 once 10:3 16:14 40:3 49:7,7 50:15 one-minute 65:4 ones 42:23 online 4:16,19 17:18 18:14 open 4:23 27:18 35:21 61:22 73:15 opened 73:7 opening 14:23 operating 7:2 7:11,11,18 7:19,22,22 7:24 operation 6:17 7:2 opposed 20:6 27:16 29:22 optimistic 39:8 option 34:12 59:19 61:19 62:18 options 5:10 5:24 58:15 59:16 60:9 order 21:7 53:20 organization 36:23 organizations 16:17 original 13:1,1	otherwise 16:24 24:10 outcome 5:11 38:3 outcomes 20:17 outlined 21:11 39:22 output 6:1 46:7 outside 17:13 17:14 27:14 57:13 over 5:1 7:8 11:12 19:18 22:23 33:18 46:7,8 51:16 54:7 overall 21:10 25:11 44:7 overestimated 49:25 50:4 51:20 overlap 17:6 32:23 33:4 overlapping 16:2,4 overtiming 33:15,15 own 21:3 45:20	part 5:21 35:23 37:1,24 38:7 38:19 39:5 46:13 47:8 49:2 52:19 53:16,16 69:18 participated 17:21 particular 48:13 parties 25:16 30:8 36:21 45:6,8 74:8 parties' 74:9 parts 8:6,13 past 18:3 35:5 people 14:14 16:6 27:25 30:8 57:15 per 8:8,9,11 14:5 56:17 percent 7:22 7:22,25 8:10 8:11 9:9,10 9:11 40:1 46:19,24 49:20 50:3,4 50:5,6 55:16 performance 27:3 perhaps 51:18 period 24:24 person 72:6 personally 19:23 26:22 persuaded 40:13 perturbed 36:13,14 PG&E 3:17,19 24:4 35:10 56:14 Ph.D 1:5 2:3
<hr/> O <hr/> O 3:1 objective 23:4			<hr/> P <hr/> P 1:4,4 3:1 pace 18:7 package 21:10 45:6 pads 43:11 painful 59:3 pair 24:7 parent 17:13 parenthesis 38:11 parity 43:24	

phase 10:7,10 21:19 33:14 33:17 39:19 39:20 58:7 60:7	pointing 51:1 points 5:18 12:17 29:21 30:9 51:10 68:17	40:1 presented 21:8 39:23	34:4,7,13,18 35:2 69:14 69:15,17 70:20,21,22 71:1,4	44:4,10,19 57:25 58:2,3 58:12 61:1 65:13
phase-out 49:5	policy 20:22	press 12:21	procedures 6:4 72:24	proposals 41:19,21 42:2
phrase 33:15	polishing 18:25	pressure 15:16 26:20 28:19 53:4	proceeding 30:6,7	propose 10:18 42:10,15 62:18
phrasing 21:24	population 40:24	pressures 6:23	proceedings 74:5	proposed 22:8 44:1,1,23,24 48:3 58:4 73:2
pick 51:15	portfolio 15:25 17:14	pretty 6:5 10:7 19:20 40:16 42:18,23 45:5	process 9:14 9:21 15:23 19:9 54:22 57:5	proposing 42:13
picture 44:8	portion 6:22 8:23	price 49:1,20 49:24,25 50:11	product 6:19 6:21 8:1,3 17:25 21:14 21:15 36:2 38:12 52:4 55:15,16	provide 48:9 provided 5:6 10:24
piece 69:16 72:17	position 10:12 60:16,17	prices 50:10	production 53:3	providing 5:9
place 44:15 50:16 51:16 54:25	possible 49:10	pricing 51:13 51:16	products 9:24 33:16 49:22	public 20:22 25:4 72:17 73:7,15
plane 72:1	Possibly 14:11	priming 24:25 25:1	profit 7:11	publish 73:2
planning 62:10,11	post 35:6	principal 68:14	profits 52:12	published 73:4
plant 53:11	practical 27:8	principle 38:22,23	program 55:15	pull 15:5
player 12:24 47:6,6	practice 55:12	prior 10:20 12:10 14:10 41:25	programs 6:13 25:3	pump 24:25 25:1 63:14
plays 47:5	preamble 57:7	Pro 6:12	prohibit 26:5	pumps 62:24 63:8,16
please 60:9	precise 11:15 11:22	probably 8:22 13:10 26:17 26:21 46:19 48:14 53:21 57:13,14 69:4,12	Project 3:22	purchased 9:4
plus 6:12 33:22 59:13	precision 11:22	problem 15:24 69:22	projected 7:7	purchasing 13:12
pocket 66:9	predetermine 30:11	procedure 13:18,20,22 17:23 23:8 26:17,18 27:6 30:4	proposal 7:24 11:24 18:15 18:24 22:8 22:21 26:1 39:14,21,22 39:24 40:2,3 40:11,13 41:1,7,12,13 41:18,25 42:8,11 43:16,24,25	pure 27:10
point 6:6,8,16 8:18 9:16 10:10 11:5 15:13,20,23 19:15 21:7 21:22 27:11 28:4 31:23 33:7 34:4,21 34:21 37:2,9 40:23 48:22 50:8 53:10 53:13 54:14 57:8,17,23 59:11 66:14 67:14	predict 49:14 predicted 49:21 50:9 50:10,21,25 51:4			purely 70:16
pointed 11:18	predicting 51:8			push 10:3 41:22 42:4
	predicts 49:16			put 18:7 25:2 31:15 49:9 53:4 60:5
	preface 69:25			putting 59:16
	prefer 27:4			<hr/> Q <hr/>
	preference 6:11			
	prepared 14:17 37:8 41:8,9 45:17			
	present 18:24			

quad 11:23 43:25 44:24 44:24 54:18 54:23 59:17 62:20 63:1 66:8 67:10	22:11 32:5 45:10 quick 53:25,25 56:14 65:3 quiet 38:9 quite 45:16 quoting 39:25	ratio 6:1 raw 8:6 reach 52:23 read 69:19 Reading 5:24 ready 3:3 18:24 19:5 49:18 54:7	record 3:5 4:14 62:8,9 64:11 74:6 redefining 24:15 redesign 58:7 redo 31:11,12 redone 29:12 29:13 reduce 12:23 49:6 reducing 40:11 reduction 12:16 46:24 reductions 20:24 refine 30:23 reframed 40:5 refrigerant 49:5 reg 38:5 reg/neg 16:19 31:4 regardless 5:11 regional 17:22 regret 28:3 regulated 13:24 14:24 32:2 38:12 38:12 55:4 regulation 24:21 38:3 50:16,17 53:5,6,11 regulations 32:16 52:19 53:8 regulatory 28:14 37:17 relative 42:4 74:7,9 relatively 7:6	42:22 released 16:20 17:24 remark 17:12 remember 18:4 remembered 62:7 repeatedly 37:3 reply 49:18 reported 5:13 reporter 62:8 74:1,4 reporting 55:14 68:20 represent 16:17 41:3 represented 38:1 representing 47:4 represents 43:22 request 14:5 required 28:10 28:16 34:5,6 35:3 38:2 requirements 23:15 28:19 requires 30:5 reread 60:8 resolved 16:15 resolving 17:1 respect 22:24 25:11 57:22 respond 21:6 47:23 48:19 51:10 53:20 responding 9:7 response 47:24 54:9 55:19,22
quadruple 28:12,21	<hr/> R <hr/>	real 9:6 27:2,8 realistic 7:12 reality 8:5,12 9:1 11:1 55:12 really 9:10 10:14 12:18 15:13 25:3 26:21 27:2 27:10,13 28:6 29:14 36:6,12 45:18 46:21 57:21 reason 8:22 22:2 43:11 49:2 51:20 reasonable 20:3 reasons 10:13 rebate 25:3 recapitalize 53:10 recently 8:19 Recess 18:12 18:21 54:2 56:23 61:25 64:5 65:5 reclining 48:25 recognizing 13:4 recollection 33:25 recommend... 17:10	quads 10:16 10:17,23 11:14,19 12:3,5,16 39:21 40:1,1 40:5,11,14 41:1,8 42:18 42:20,21 43:4,6,12 45:12 55:21 55:24 56:2 58:1,4,9,14 58:21,25 59:13 61:10 62:21 64:1 66:13 67:13 qualifications 31:6 quantify 30:1 quarter 18:11 question 11:25 17:4 22:24 24:1,3 25:13 26:4 31:24 32:5,6 32:6,8 35:11 47:17,23 48:1,18 53:1 56:19 61:18 65:6 67:7,21 70:5,6,12 71:5 questioning 38:9 questions 11:8 13:15	Ramirez 1:25 3:2,6 4:13,16 4:19 5:16 17:18 18:10 18:13,22 19:4 35:15 47:12 48:7 48:17 50:7 53:19 54:3 56:18,22,24 60:25 61:3 61:24 62:1,4 62:14 64:4,6 64:11 65:3,8 66:4,12,17 66:24 67:21 68:2,7,9,22 69:1,7,10,17 70:9,15,23 71:1,16,21 72:2,13,22 73:6,14 ran 46:16 range 46:19 63:1 Raquel 1:24 4:6 rate 51:4 rated 17:24 rather 22:15 23:18 31:7 42:4,9 64:9

rest 31:16	64:4,6 65:17	26:7 27:12	44:5,14 45:5	64:19 65:1
restate 12:14	65:24 66:1	32:12 35:10	45:7 54:18	67:2 68:13
result 59:17	66:12,17	35:15,16	54:20,23	71:7 72:3
63:24	67:8,21 68:8	46:11 48:9	58:1 59:8	seeing 51:12
retaining 7:11	68:11 70:1	59:18 63:25	say 5:6 9:11	52:2
retest 28:10	71:6 72:1,2,6	64:22 66:7	12:1 20:8,8	seen 21:24
31:12 34:12	72:9,10	66:12	24:25 26:2	self-confide...
return 13:1	rightly 12:17		28:6 30:21	13:7
review 67:18	Rivest 2:1 4:5	S	35:2 36:13	semi-regulat...
71:13	4:5 48:4,6,9	S 1:4 2:19 3:1	37:25 44:22	23:17
revised 23:20	65:19	74:3,17	45:8 46:12	send 65:16
32:1,11,11	Robert 2:10	Sachs 2:3 3:12	51:24 57:20	sense 43:2
revision 9:18	rolling 4:22	3:12 12:18	61:8 62:9,10	separate 15:6
16:23 29:7	room 28:21	15:22 16:13	63:2 71:8	23:8
revisit 37:5	35:13 36:16	30:14 31:2	saying 24:23	separately
reword 11:2	Rosenquist	31:14,20	30:15 31:16	38:13
rewrote 22:6	2:2 4:3,3	38:8,17 56:6	33:5,8 44:15	sequentially
Rheem 3:13	63:21 65:14	60:21 61:1,4	50:2 58:24	25:20
51:9	65:20	61:7,9,12,16	59:5,11	serious 46:24
right 3:2,3	roughly 63:14	61:18,21	60:16	services 6:2
4:22 15:7	row-wise	64:3 66:20	says 16:17	set 9:17 35:4
16:5 18:13	60:22	73:9	scenario 43:7	49:7 65:17
18:22 19:4	RTU 26:11	Sam 1:20 4:21	46:16 51:1,3	setting 52:19
20:17 21:3	rule 22:20	same 10:20	scenarios	settle 56:16
22:17 24:7	30:23 39:11	14:14 18:7	42:17 51:2	several 35:25
27:10 28:2	44:24 49:22	21:7 25:24	scope 25:13	36:23 52:11
28:23 29:19	58:5 73:2,4	36:22 42:11	25:14,17	54:16
30:1,3,11	rule-making	43:14 49:16	26:2,6 27:17	severe 50:25
31:17 33:2	22:19 23:22	53:5 59:17	28:7,7 29:13	shall 22:19,20
33:13,14	25:21 30:19	61:21 63:15	29:13 30:12	24:25 30:22
34:4,10 38:4	30:22 38:13	63:23 66:22	57:14	30:23
39:4,13	59:10	Sami 2:13 3:25	second 5:12	share 4:23
42:19 43:1	run 42:17 43:7	54:4	5:19 33:3	20:18
43:17 45:19	43:7 45:12	San 62:11	61:6	shared 21:21
45:19 46:4	46:15 48:2	save 39:21,24	section 6:4	21:25
48:4,5,11,25	51:2 64:16	40:11 58:2,4	16:11	shareholders
49:10,11	64:19 65:23	savings 5:13	see 6:15 11:11	50:24 52:13
50:2,12,15	66:15	10:23 11:18	22:14 25:22	she's 72:7
52:6 53:6,23	running 46:3	11:23 12:16	26:19 31:10	sheet 12:6
54:3 55:25	57:2	15:17 20:22	32:7 36:14	16:16 17:23
57:20 58:11	rush 72:15	40:17,22	40:24 41:9	18:2,5,8
60:11,19	Rusty 2:7 3:11	41:7,10,11	47:19 53:19	21:24 30:20
61:24 62:4	4:25 11:9,10	42:7,22 43:9	56:15 57:21	30:21 66:6
62:15,17	12:1 19:1,10	43:13,15	57:25 60:21	67:9,15,16

67:25 69:21 69:23 71:12 Shepherd 2:4 2:19 4:11,11 74:3,17 shipment 7:5 8:5 51:5 shipments 7:5 7:7 8:4,10 48:25 49:1 50:9 51:3 52:7 shipped 26:12 shoot 21:1 40:6 Shorthand 74:3 shot 66:6 should 9:11,17 9:25 13:14 14:1 17:2 20:8 25:18 25:19,23 38:13 52:18 56:9 57:9,10 shouldn't 13:11 20:8 show 68:13 72:3 showed 43:15 showing 45:18 shows 2:5 40:19 72:7 shrinking 13:13 shuffling 67:20 side 12:23 sides 47:14 73:13,13 sign 30:15 significant 6:5 8:23 44:2,3 47:7,9	significantly 7:20 signing 30:18 similar 63:23 simple 55:18 simply 48:23 simulation 29:11 31:11 31:12 simulations 24:5 31:7 simultaneous 69:16 since 13:11 20:9 36:15 62:7 63:21 single 23:10 single-digit 7:19 sit 56:12 site 24:20 sitting 38:7 67:19 six 8:24 28:22 skip 22:23 slide 39:25 40:2 slides 39:22 slower 63:2 slowly 61:7,8 slug 19:18 small 10:19 40:4,20 41:16,22,25 42:2,5,9 43:17 47:5,6 47:6 55:21 57:22 58:17 60:10 61:2,5 smaller 41:18 smarts 49:8 software 6:10 6:11 solid 62:2	some 5:7,9,9 9:17 11:15 14:14 21:21 21:22 22:2 22:11 23:15 24:24 26:23 27:19 28:2 28:11,17,18 28:18 29:23 32:23 33:4,5 33:7,7 34:18 37:20 38:9 41:8 42:17 43:11 46:13 48:2 51:16 51:18 53:21 57:6,20 59:11 60:5,6 68:18,21 71:14 somebody 62:7 somehow 72:1 someone's 53:9 something 8:1 13:22 21:16 23:13 30:21 32:12,13,14 32:23 35:17 39:10 44:23 46:23 47:15 52:6,17 57:9 59:24 66:21 69:12,23 sometime 29:1 sometimes 52:1 somewhere 44:13 64:22 soon 18:18 29:9 48:2 sooner 22:15 23:17,23	sorry 4:13,19 22:1 36:18 39:25 44:9 48:7 50:7 55:5 60:7 61:3 70:23 sort 10:12 25:11 26:16 27:18 28:1 31:2 36:24 38:9 44:7,11 48:23 55:1 57:15 63:24 soup 59:13 sources 12:20 south 51:21 speak 38:5,6 46:18 71:9 SPEAKER 34:24,25 61:8 62:13 71:9,20 speaking 27:15 47:1 speaks 60:22 specific 8:4 18:4 21:23 34:2 specifics 27:5 specified 59:19 speech 49:17 spend 69:12 spending 66:2 split 42:15 43:5 58:12 58:13,21 squeeze 52:14 53:25,25 stakeholders 69:25 stand 58:13 standard 19:21 29:1	33:13,13 34:7,20 44:8 49:7,9 standards 3:22 17:22 20:25 32:18 35:4 51:14 51:25 standpoint 5:24 27:8 54:21 Starr 2:6 3:15 3:15 26:15 start 5:3 29:3 29:14 30:16 73:3 started 3:3,4 18:23 39:20 54:4 57:14 64:4,6,7 73:11 starting 9:19 21:7 starts 31:13 starve 56:13 stashing 66:13 state 14:18 64:10 stated 10:12 statement 12:13 48:20 70:3 static 6:23 7:3 15:16 26:20 28:19 statute 5:25 stay 42:11 steel 31:7 steering 27:19 36:7 step 34:16,20 35:6 55:18 57:24 58:9,9 Steven 1:18
---	---	---	---	--

4:21 72:6	sufficiently	45:10 48:19	65:14	35:2,9 39:8
stick 42:8	30:12	56:20 57:20	ten 47:18	69:14,15,17
still 7:15,16	suggest 13:14	58:10,25	50:19	70:20,21,22
8:11 11:13	30:20 46:17	59:7 62:22	tend 36:6	71:1,4 72:24
13:5 20:19	46:18	65:10,12,23	tends 36:6	tested 33:17
24:12 32:17	suggesting	66:6 72:2	tentative 21:10	34:1
34:16 52:22	43:23 60:2	taken 8:16	68:10 72:3	testing 21:13
55:10 59:25	suggestion	18:12,21	tentatively	28:9,9,13
67:9,9	16:25	54:2 56:23	70:13	29:19 33:5
stock 39:4	Sunday 67:17	61:25 64:5	tenth 62:25	36:1
stop 53:16	support 19:21	65:5	63:17 67:10	tests 28:15
store 7:1	25:4	takes 28:22	67:13	29:17 31:25
straight 64:11	supported	42:6 53:2	tenths 66:8	text 21:22
strategic	16:12	60:18 64:1	term 5:25	than 7:3,17
12:22 13:9	supposed	taking 7:20	16:16 18:5	12:8 13:3,3
stretch 65:3	39:14 52:20	15:14 20:5	23:20 30:20	21:2 22:16
strikes 57:8	sure 25:9	45:4,4 60:16	30:21 66:6	23:18 28:5
stringency	30:12 32:5	60:17 62:18	67:15,16	30:19 31:7
44:12	45:15 50:12	talent 49:8	terms 17:22	40:14 41:20
strong 19:21	61:16 65:3	talk 13:11 17:2	18:2,8 20:5	41:22 42:3
25:4 57:11	68:14 69:21	17:16 22:11	21:24 27:4	44:4,5,5,9
struck 68:21	71:16	56:17,25	38:21 44:12	45:7 54:19
stuff 15:19	surpassed	68:3,3	67:8,25	55:13 57:16
33:20,25	52:5	talked 10:25	69:21,23	59:3,5,25
46:14 47:5	surprised	60:4	71:12	thank 5:1,8
67:20	48:10 68:6	talking 5:4	terribly 48:11	12:12 18:10
style 7:1	system 13:25	7:21 11:1	test 6:4 7:3	18:20 19:6,6
Sub-A 24:11	20:23 27:19	27:13 28:24	9:16,17,23	24:13,22
Sub-B 23:13	27:21,21	31:16 63:4	10:2,4 13:18	25:5 35:7
23:21 24:11	55:14	69:16	13:20,22	36:10 56:2,8
24:18 32:12		tangential	14:23 15:6,8	61:24 66:23
32:19		12:19	15:11 16:20	66:24 72:19
sub-bullet	table 10:5	target 9:22	17:23 20:6	73:6,9,10,12
13:18	15:10 17:10	10:13,15	22:13,14	73:14
Sub-point 9:23	20:25 30:18	21:1 40:6,8	23:1 25:12	thanks 11:9
10:2	47:10 73:13	task 21:6	26:17,18	48:8
subject 12:17	table's 14:17	tea 19:23	27:2,6,25	Tharp 2:7 3:11
25:8	tackle 22:9	team 61:17	28:17,21	3:11 4:25,25
submit 55:7,9	tackled 57:15	teleconferen...	29:7,15,15	5:18 12:4,10
submitted	take 11:7,16	67:18,19	29:22 30:4,6	19:13 23:5,7
9:15 55:17	15:14 22:5	tell 29:10 32:7	30:7 32:16	25:7 26:7,7
such 6:3 13:22	28:11,20	50:12,14	32:18,22	26:10 27:12
17:10	29:25,25	58:14	33:9,22,22	27:12 35:14
suffered 13:6	30:17 44:23	telling 45:24	34:3,6,13,18	35:16,16,23

46:11,11,23	21:22,25	59:13 68:25	told 18:25 62:9	48:21 54:11
48:1,5 50:6	22:15 25:8	73:4	tomorrow	54:16 55:1
54:9 56:2,5,7	25:12 26:7	three-year	65:16,25	55:19,24
56:11 59:18	26:22 27:16	25:21	71:17,19,21	71:15 72:1
59:22,24	27:18,22,22	thumbs 68:13	tonight 65:15	TSL 41:1 42:6
60:8,12	27:22 29:16	72:3,9,18	took 49:23	TSL-1 60:7
61:10,15,20	30:10,18	Thursday	topic 24:1	TSL-3 12:6,11
61:23 62:3,6	31:14 32:21	71:13	36:12 57:12	54:18
62:17 63:3,6	35:18 36:16	tie 18:1 24:9	topics 25:15	TSL-4 12:8
63:12 64:2,7	36:24 37:8	28:1	25:18 30:25	TSLs 41:9
65:2,6,9,22	37:12,16,17	tied 17:7 18:5	68:19	tuck 64:22
65:25 66:10	38:9,23	time 5:7 9:12	Toro 1:11 4:20	tummies 53:21
66:14 67:1	39:13 40:8	9:17 17:19	total 6:7 9:20	turn 11:5
67:11 69:14	40:12,21,23	21:15 22:22	64:2	two 12:22 17:6
70:20	45:1 46:7,7,8	25:19,24	tough 21:14	17:6 32:3,4
therefore 14:1	47:13 48:12	27:24 33:6,7	tough-to-test	32:22 36:14
53:7	48:15 50:18	37:21 42:24	21:14	38:24 39:2
thermodyna...	51:8 52:4,17	44:11,12	toward 16:18	43:11 47:18
52:9	53:2 55:1,3	45:2 46:1,9	trade 44:11	51:2 59:1,16
thing 14:10	55:18,19	47:19,24	Trane 3:9 4:10	59:19
17:1 21:11	56:9 57:5,10	48:16,18,19	transcribe	two-step 46:14
27:9 42:21	57:17 60:3	49:4,4 52:24	74:4	two-tenths
56:14 62:6	60:18 61:3	53:20,22	TRANSCRIB...	63:18
66:22 70:18	66:14 67:16	56:18,19	2:19	two-tier 45:19
73:11	68:16,24	57:2,3,6,20	transcript 74:5	types 36:9
things 8:18	69:3,4,5 70:5	62:3,14	transition	typically 20:4
10:15 15:14	70:6,10 71:2	64:25 67:18	24:24	
18:6 25:23	71:6,13 72:7	68:24 69:13	transparency	U
28:5 30:9,11	thinking 26:25	timely 22:14	6:14,14	U.S.C 5:25
35:12 36:8,9	33:15 62:5	times 28:21	trip 62:11	ultimately 28:3
42:7,25 43:2	65:19,20	54:16	triple 54:24	unanimity 11:2
52:11 71:14	third 6:25 9:16	timing 18:17	truck 39:12	11:3
think 5:12,22	70:18	25:12 53:12	true 43:22 74:5	uncertainty
7:4,8,12 9:9	thought 26:16	57:1	truly 54:10	12:17,20
9:20,24	67:25 70:9	title 6:4	try 10:3,4	uncomforta...
10:14 11:24	thoughts	today 6:10	18:15 19:10	44:4
13:4,6 14:17	63:19	7:13 28:2	23:14,22	underestima...
15:18,18	thousands	37:5 38:7	36:14 48:22	49:24
16:10 17:2	51:21	39:11 55:13	52:12 54:5	underestima...
17:11,19	threats 19:25	56:16 57:4	57:10	40:22
18:1,3,7	19:25	57:11	trying 15:20	underneath
19:15 20:3,4	three 5:6 8:25	today's 8:7	16:25 21:22	17:12
20:11,12	9:1,2 19:3	together 37:21	27:24 34:19	understand
21:9,15,20	25:11 27:23	54:11,13	45:23,23,25	12:2 18:23

29:5 37:3	9:19 15:15	18:16 22:10	6:18,21 7:4	35:5,24
46:2 48:21	23:11 26:8	22:14,17	7:20 8:8,11	41:17 42:16
57:4 60:1	26:21 30:1	23:5 24:2,9	8:12 9:24	43:16 49:12
69:24	30:24 31:16	24:11 25:3	11:21 13:21	52:4 57:22
understandi...	verging 31:22	25:17,17,20	13:22 14:19	57:23 58:16
5:12 6:12	verified 8:2	25:21,24	15:14,19	58:16 59:4
12:21 14:6	55:5,11,16	26:14 28:1,6	17:13 19:15	65:24 70:13
68:9	verify 55:8	30:10,11,17	19:16 20:2	71:25
Unfortunately	65:13	34:11 37:13	21:22 22:21	webinar 1:8,11
43:10	verifying 9:14	38:16,17,20	24:21 27:13	1:14,16,18
unit 42:8	versus 44:12	39:9 46:21	27:22,22	1:20 2:5,8,11
UNITARY 1:1	via 1:8,11,14	47:9,19,19	28:24 29:23	week 39:20
units 8:8,9,11	1:16,18,20	47:24,25	30:10,12,18	weigh 30:9
8:13 15:9	2:5,8,11	48:18,19,23	31:16 32:18	weighed 47:15
40:20	23:23	51:10 53:17	34:16 36:13	went 16:11,11
unless 13:15	view 15:23	55:6,8,9	36:13,13,15	21:25 24:16
unregulated	42:25 43:23	56:25 60:6	37:12,15	59:9
55:9	44:2 46:4	64:15,16,19	39:24 41:8,9	Westphalen
upon 17:23	52:25 53:1	65:21,22	41:14,16,24	2:9 4:15,15
18:5	viewpoint	66:2 68:18	42:1,5,11,13	4:18
upstream 25:3	53:14	71:7	43:4,25 44:8	whenever 19:4
use 6:3,11	violet 13:13	wanted 11:21	44:15 45:20	54:7
31:5 34:3,5,9	volume 8:8	23:2 35:8	45:22,23,23	where 6:17,23
34:13 46:8	42:8	warts 19:16	47:6 49:2,2	7:2 8:7 9:11
47:19,24	volumes 8:5	wasn't 12:10	52:2,2 54:6	9:13 12:15
48:16 52:24	63:16	13:19 34:5,5	54:13 55:10	12:24 19:15
useful 6:1	volun-told	39:15 72:24	55:13,21	19:22 36:6,6
usually 33:18	69:8	72:25	57:1,3,25	36:8 39:20
utilities 25:5	voluntarily	way 15:8 17:1	58:19,22,24	45:17 53:6,9
	34:8,8	20:21 21:1	58:24 59:5,6	53:10 55:8
V	volunteered	22:14 23:1	59:6,15,15	57:14,23
valuable 43:4	69:7	35:5 37:17	60:14,15,16	58:13 66:12
value 11:16	vote 68:11,13	39:8,16	61:22 62:25	66:25
21:16 28:17	72:3	42:25 50:18	63:4 64:20	where's 72:21
40:1 41:6	voted 72:18	57:25 58:14	64:23,24	whether 17:9
42:24		58:15 59:3,4	68:12,15	17:12 23:8
values 6:24	W	60:4 72:18	69:22 71:15	24:11 26:1,3
9:14 10:8,18	wait 67:2	73:2	71:15	29:11 36:23
54:22,25	waiting 5:2	ways 20:17	we've 5:4 6:24	53:11
55:7,8,11,17	Waltner 2:8	59:2	10:25 11:11	white 8:19
57:19 60:20	4:21	we'd 6:15	15:14,19	Whitwell 2:10
vastly 13:2	want 4:13 5:1	10:10 27:4	18:2 21:3,9	3:8,8 11:9,10
ventilation	5:8,10 8:18	65:1 71:6	21:13 25:2	23:24 29:3
5:21,23 6:6	13:5 15:3,4	we're 3:4 5:22	25:13 31:5	29:16,18,21

<p>36:18 56:1,4 66:2 67:4,5 71:4 who's 13:12 65:6 66:5 67:15,22 whole 17:22 59:13 wide 49:25 50:1,3 willing 11:4 37:15 41:14 41:16,24 43:5 44:22 58:24 59:20 62:23 Wilson 2:11 4:20 win 65:7 win-wins 20:17 Winningham 2:12 3:14,14 15:12 16:1,4 22:10 within 11:3 29:24 36:20 55:16 word 11:2 wording 31:17 31:18 69:14 69:15 words 13:19 21:23 22:6 26:19 31:15 wordsmith 57:10 wordsmithing 21:21 25:9 55:6 56:15 67:20 work 5:8 9:4 10:3,4 13:20 23:2 27:19</p>	<p>37:21,21 39:11,17 43:9,12 57:9 59:12,14 68:4,4,7,18 68:21 69:1 71:22 72:4 73:11 worked 8:24 9:1 11:12 working 1:1 4:24 14:11 16:7,7,18 17:6,21 18:19 21:4 27:25 36:8 38:6,18,24 39:15 54:10 67:24 68:19 70:1 73:3 works 42:25 68:11 69:21 world 7:13 42:25,25 43:23 worry 27:11 29:14 worst 50:14 51:7 worth 38:10 40:3,4,13 42:19 59:12 63:11 68:17 wrong 46:12 wrote 22:6</p> <hr/> <p style="text-align: center;">X</p> <hr/> <p style="text-align: center;">Y</p> <hr/> <p>yeah 11:9 12:7 14:13 23:6 24:4 25:8 26:9 27:23 28:5,6 29:16 32:24 50:7</p>	<p>54:6 60:1 61:20 63:21 67:4 69:3,9 69:18,20 70:5,9 71:6 72:2 year 8:8,9,12 8:13 22:22 42:18 43:5 43:19,20 65:7 years 7:8 9:5 20:7,8 27:23 28:22 31:3 41:15 42:14 44:9,9,13 49:12,13 55:16 59:13 73:4 yesterday 12:5 12:6,15 20:16 22:16 32:22 39:23 40:2,5,9,10 41:1 42:17 43:15,24 45:16 yet 20:18 40:20 42:5 yield 40:17 44:19 yields 40:21</p> <hr/> <p style="text-align: center;">Z</p> <hr/> <p>Zendah 2:13 3:25,25 Zero 63:3</p> <hr/> <p style="text-align: center;">0</p> <hr/> <p>0.2 62:19 63:8 0.3 62:19 63:7 0.9 10:16</p> <hr/> <p style="text-align: center;">1</p> <hr/> <p>1 5:19 10:7</p>	<p>11:20 39:19 51:24 60:7 60:18,18 1.0 62:24 1.3 10:17 1.5 58:4,25 59:12 1:30 53:23,24 54:1 10 1:3 7:18 49:20 50:3 54:6 65:7 100 55:16 100,000 8:8,9 8:11 11 8:1 19:11 39:25 40:2 12 5:18 19:13 12.1 40:4 12.2 10:11 12th 74:12 13.5 10:23 11:18 41:8 41:13 14.3 56:1,2,8,8 58:2 14.7 62:22 64:1 14.8 55:24 58:20 61:13 61:14 63:1 64:2,2,17,17 14.9 58:20 61:13,14 64:2,17 15 18:18 20:10 15.4 12:5 40:11,14 41:1,4 43:12 43:21 58:1 16 72:25 16.3 10:12 12:6 40:7 41:6,13</p>	<p>17.1 39:21 18.2 40:1 19 72:25,25 19.6 12:7 1st 9:20,21 22:21 30:22 30:23</p> <hr/> <p style="text-align: center;">2</p> <hr/> <p>2 5:21 7:16 10:10,21 11:20 21:19 34:16,20 35:6 39:20 54:5 2.4 12:16 2.5 10:19,22 42:6 55:23 56:3,6 58:23 60:14 61:5,9 63:7 2.75 60:18 20 7:25 2005 49:22 51:19 2010 49:23 51:19 2015 1:3 74:12 2016 9:20 30:22 62:11 72:25 73:1 2018 9:22 10:8 2019 9:22 19:22 22:21 30:23 34:18 35:2 72:25 2021 56:4 2022 42:16 2023 42:16 55:23 56:5 58:8 2024 10:19,22 42:15 2025 29:2</p>
--	--	--	--	---

<p>25 8:11</p> <hr/> <p style="text-align: center;">3</p> <p>3 5:25 6:8 7:16 40:18 43:9 55:21,22 56:3,3 58:19 58:22,23 60:13,15 61:4,4,4,4,7 61:9,9,9,9,19 62:18 63:6,6 3.0 10:21 41:2 41:17,24 42:8,9,12,13 60:10 3.25 60:19 3.5 40:11,18 40:22 41:1 41:17,25 42:6,9,12 44:21 58:19 58:20 60:14 61:5,9 30 7:8 46:19 46:24 53:23 30-odd 20:7,8 3B 22:25 25:7</p> <hr/> <p style="text-align: center;">4</p> <p>4 6:16 42:18 42:20,21,22 43:4,6 54:5 62:21 63:13 4.9 54:23 42 5:25</p> <hr/> <p style="text-align: center;">5</p> <p>5 6:19 28:21 49:20 50:2,6</p> <hr/> <p style="text-align: center;">6</p> <p>6 6:23 54:5 6311 5:25 6314 6:4</p>	<hr/> <p style="text-align: center;">7</p> <p>7 7:4 40:1 62:23,24 63:9 7.1 7:22 7/.8/1.0 63:9 75 8:10 75,000 8:12</p> <hr/> <p style="text-align: center;">8</p> <p>8 7:13 54:6 62:24 81 9:9,10,11</p> <hr/> <p style="text-align: center;">9</p> <p>9 7:14,22 12:3 12:10 9:00 72:12,13 9:30 5:3 90 50:4 90.1 10:6,8 23:2,15,16 23:23 54:22 54:25 95 50:4,5</p>			
---	---	--	--	--