

Date: April 13, 2015

Case: The Energy Conservation Standards for Residential Furnaces



Ace-Federal Reporters, Inc.
Phone: 202-347-3700
Fax: 202-737-3638
Email: info@acefederal.com
Internet: www.acefederal.com

U.S. DEPARTMENT OF ENERGY PUBLIC MEETING
THE ENERGY CONSERVATION STANDARDS FOR
RESIDENTIAL FURNACES

U.S. Department of Energy
1000 Independence Ave. SW
Washington, DC 20585
Room No. 8E-089

April 13, 2015

9:00 A.M.

1 Appearances for Department of Energy Meeting

2

3 John Cymbalsky, DOE

4 Ashley Armstrong, DOE

5 Dan Cohen, DOE

6 Eric Stas, DOE

7 Francine Pinto, DOE

8 Johanna Hariharan, DOE

9 Doug Brookman, Public Solutions, -- Moderator

10 Donald M. Brundage, Southern Company

11 Adam Darlington, Navigant

12 Andrew deLaski, ASAP

13 S. Craig Drumheller, NAHB

14 Rachel Feinstein, HPBA

15 Victor Franco, Lawrence Berkeley National Laboratory

16 John Hodges, Wiley Rein

17 Daniel Lapato, American Public Gas Association

18 Michael J. McCabe

19 Samuel McClive, Navigant

20 Charles McCrudden, ACCA

21 Michael Rivest, Navigant

22 Steven J. Rosenstock, Edison Electric Institute

1 APPEARANCES (CONTINUED:)

2

3 Aniruddh Roy, Goodman

4 Dave Schryver, American Public Gas Association

5 Caroline Davidson-Hood, AHRI

6 Frank Stanonik, AHRI

7 Kathryn Clay, American Gas Association

8 Mark Krebs, LACLEDE Group

9 Jim Moore, LaClede Gas

10 Christopher Lau, Navigant

11 Everett Shorey, Shorey Consulting, Inc.

12 Gregory J. Stunder, Philadelphia Gas Works

13 Constantin Von Wentzel, Navigant

14 Dave Winningham, Allied Air Enterprises

15 Alex Lekov, Lawrence Berkeley National Laboratory

16 Larry Dale, Lawrence Berkeley National Laboratory

17

18

19

20

21

22

1 P R O C E E D I N G S

2 (9:30 a.m.)

3 MR. BROOKMAN: Good morning, everyone.

4 Welcome. This is a continuation of the Energy
5 Conservation Standards Notice of Proposed Rulemaking
6 meeting for furnaces. Today is April 13, 2015, here
7 in the Forrestal Building in Washington, D.C.

8 My name is Doug Brookman, Public Solutions
9 Baltimore. We started this meeting on March 27th,
10 2015. We got through a great deal of material. We
11 had a lot of very positive and useful commentary, so
12 we didn't complete it all on that date, and that's
13 the reason we're here today.

14 We're going to start with welcoming
15 remarks and perhaps some overview from John
16 Cymbalsky.

17 MR. CYMBALSKY: Welcome back everybody to
18 finish our meeting here on non-weatherized and mobile
19 home gas furnaces.

20 We are going to pick up -- you see the
21 slide up there -- we are going to pick up back where
22 we left off with the life-cycle cost subgroup

1 analysis, and we're going to take a little deeper dive
2 into this as we start the meeting. But we're going
3 to go around and do introductions.

4 MR. BROOKMAN: Yes.

5 MR. CYMBALSKY: So, I'm John Cymbalsky,
6 program manager for Appliance Standards.

7 (Introductions were made.)

8 MR. BROOKMAN: Okay. Thank you. And
9 thanks to all of you for being here this morning.
10 Nice to see you. Apologies to those of you joining
11 us online; there was a little bit of technical difficulty
12 getting going here this morning.

13 Just to be clear, at our last meeting, we
14 got through a lot of material. If you look at the
15 agenda and your slides, we went through the overview.
16 We talked about scope and the engineering analysis. We
17 covered the life-cycle cost analysis. We were on subgroup
18 analysis when we stopped, and that's where we will
19 resume today.

20 Following the subgroup analysis, we will
21 *go directly into shipments model, NIA National Impact
22 Analysis, RIA Regulatory Impact Analysis, and then

1 discuss the MIA Manufacturer Impact Analysis, and then as we
2 move towards the end of this meeting, environmental,
3 employment and additional research/side research. An
4 opportunity, again, at the end of this meeting for anybody
5 that wishes to raise additional issues, supplemental
6 issues, issues that you don't think have been covered
7 sufficiently for this important meeting.

8 I'd ask for your consideration to please speak
9 one at a time. If everyone can make sure their
10 phones are muted right now, please take a peak and
11 make sure the little green light is not illuminated
12 so that we don't have any feedback in the room.

13 And those of you that are joining us via
14 the web, welcome. We hope to have you participate in
15 this meeting as best we can. If using the software
16 provided, if you raise your hand to speak, we will
17 unmute you in the room, and we should be able to hear
18 you, and you can chime in.

19 I'd also ask, as there will be a complete
20 record of this meeting and a transcript available,
21 please say your name each time you speak, and you can
22 get used to turning these microphones both on and

1 off.

2 And I think that's the bulk of the
3 preliminary stuff. John Cymbalsky.

4 MR. CYMBALSKY: Thank you, Doug. And this
5 is John Cymbalsky again from DOE.

6 So up here, we have the slide we kind of
7 ended with last time which showed the subgroup
8 analysis for this rulemaking. And as you can see
9 here, what we presented a couple weeks back was that
10 the low-income subgroup would relatively not win as
11 much as the general population. So over the past few
12 weeks, we've actually dug deeper into the theory
13 behind the economic -- the economic theory behind say
14 rental markets, things like that. How people pay for
15 the equipment that are low income, how renters versus
16 home owners pay for equipment and receive the benefit
17 long-term over their energy bills. So, based on that,
18 we're going to probably rethink the numbers that you
19 see here because I think there's a competing theory
20 that would suggest low-income people actually would
21 do better than the general population. And so today
22 what I've done, I've handed out some additional

1 slides we'll put in the docket later, but we're going
2 to go through this. And I've asked Dr. Larry Dale
3 from Lawrence Berkeley National Lab to kind of walk
4 through the economic theory behind sort of the split
5 incentive theory, the theory behind rental markets,
6 and why actually we think low-income consumers could
7 be made better off through this regulation.

8 So I'll ask Larry to come up to the
9 podium, and Emily, if she could put the other slide
10 deck up that we loaded this morning.

11 MR. BROOKMAN: Do you have a
12 question/comment here, Mark?

13 MR. KREBS: Well, you had mentioned if
14 anybody wanted to make opening statements and then we
15 just got right into the meeting.

16 MR. BROOKMAN: We already made opening
17 statements at our last meeting and there will be an
18 opportunity at the end of this meeting to make any
19 remarks that you wish to make.

20 So these are the new slides; correct?

21 DR. DALE: Yes.

22 MR. BROOKMAN: And Larry can advance them?

1 DR. DALE: Yes.

2 (Pause.)

3 DR. DALE: Can you all hear me?

4 Can you hear me?

5 So I want to talk about the impacts of
6 efficiency standards on low-income households. And I
7 spent the last week thinking about this issue,
8 talking with experts at U.C. Berkeley and have put
9 together these slides trying to illustrate what I
10 think is the key part of the problem.

11 Currently, as you saw from the last slide,
12 DOE treats low-income consumers pretty much like
13 everyone else, discount rates differ a little bit.
14 But the main point is, they're treated like a typical
15 household, whereas most low-income households are
16 living in apartments or they don't own their
17 households, so they may pay the energy bills, but
18 they don't buy the more-efficient equipment.

19 So right from the start, you can see
20 there's a possibility that if they're not buying the
21 equipment, nothing happens. Then they would get the
22 advantage of lower energy bills, but they're not

1 having to pay the higher costs of more-efficient
2 equipment. So that's really maybe the key point to
3 keep in mind.

4 What economists like myself will tell you
5 is that things will start changing from that point.
6 There's a possibility that some households with lower
7 energy bills will be more attractive to renters, so
8 the demand for those households, for those apartments,
9 would rise, and that could increase the rent. That
10 would be one way that low-income households living in
11 apartments might face a higher cost from standards.
12 But in fact, anybody who has looked for apartments
13 knows you almost never check energy bills when you're
14 looking for apartments. All you really see as you're
15 going from apartment to apartment, is what the rent is
16 going to be.

17 Low-income households, high-income
18 households that are renting, they all pretty much do
19 the same thing; they're not aware of potential energy
20 savings, and so it's not reflected in higher rents.

21 The other possibility is landlords who
22 have to buy the more-efficient equipment that costs a

1 little more are going to try to raise the rents. And
2 that is a real possibility. They will try to do that,
3 but as I will try to show in these three slides,
4 that's fairly difficult to do, or it's constrained at
5 any rate by the slopes of the demand and supply
6 curve.

7 So here from the slide you see, I'm saying
8 renters are unaware of energy savings. And actually,
9 a recent study by somebody funded by the Resources
10 for the Future group and work under the direction of
11 Severn Bornstein at U.C. Berkeley, they've done a very
12 clever study and actually showed, in fact it's true,
13 even though this seems like intuition, it is in fact
14 backed up by the data. Renters are not aware of
15 energy savings. So renters don't raise rents in
16 apartments just because the apartments have lower
17 energy bills.

18 Landlords are aware of higher energy
19 costs. This is also apparently the case, and while
20 they pay the higher cost of equipment, and they will
21 attempt to raise rates, standard economic theory is
22 going to suggest they're going to have a lot of

1 trouble doing this in the few apartments every year
2 that are buying more-efficient equipment.

3 The implications from these findings are:
4 tenants benefit from lower energy bills; rent
5 increases may not, and I would say almost certainly
6 do not, cover the higher equipment costs. So overall,
7 tenants (meaning largely low-income households in
8 this case, or rather the other way around, low-income
9 households that are largely tenants) are probably
10 better off than suggested by our LCC analysis.

11 Sorry to bore you early in the morning
12 with the supply and demand curve, but this is from
13 your ECON 101, you might remember. This is sort of a
14 typical analysis showing what happens when, in this
15 case, the supply curve costs go up because it's now
16 more expensive to provide an apartment because you
17 have to buy more-efficient equipment and that costs
18 something more. You can see the supply curve
19 dropping from the dash line S-1 to the solid line S-2
20 which is S-1 plus the higher equipment costs.

21 The intersection of demand and supply is
22 giving you the price. This line is showing you the

1 higher cost of the equipment, but you can see between
2 the two dotted lines the actual price. In this case,
3 the rent for the apartment is going up much less than
4 the increase in the apartment cost.

5 So the point of all this is that landlords
6 are going to be constrained by how much they raise
7 rents. And in general, they can't raise rents as much
8 as the increase in equipment costs. They are
9 particularly constrained in urban areas where the
10 demand curve is going to be fairly elastic because
11 we're talking about relatively few households at any
12 one time, and the supply curve is relatively
13 inelastic. Hence urban areas, even though rents may
14 go down or the ability to capture rents may go down,
15 it's very hard to take apartments off the market or
16 increase apartments in the market. So the price is
17 constrained that way. In that case, the increase in
18 rents that would accompany a rise in costs would be
19 much less than the rise in costs.

20 Here's a few statistics. Low-income
21 households, about 60 percent of them, are in public
22 housing or renting. Their incomes are lower than for

1 typical owners. And here's a summary of the impacts
2 of what I've just been talking about. Impacts on
3 energy bill, the tenants get the full savings of the
4 lower-cost energy bills. The impact of the first
5 cost, the increased cost of the equipment. It's
6 going to be a partial increase for public housing and
7 renters and a full increase for owners.

8 So in sum, for most of the low-income
9 households, we think the LCC analysis is
10 underestimating benefits of standards, whereas for
11 owners, which is a smaller part of the low-income
12 population, it's probably getting it about right. So
13 those are the slides I have to describe. Do I stand
14 up here for questions? I'm not quite sure.

15 MR. BROOKMAN: Stay right there.

16 Steve Rosenstock. Let me ask you,
17 apparently the polygon system is working well, so
18 every time you shuffle papers or click your pen,
19 everybody on line can hear it. So if we can be as
20 quiet as possible. Steve Rosenstock.

21 MR. ROSENSTOCK: Steve Rosenstock, Edison
22 Institute. Quick question. On the first slide, you

1 talked about assumptions -- renters aware of energy
2 savings. If they're paying their bill, they're
3 paying their electric and gas bills, right?

4 DR. DALE: Yeah, that's right.

5 MR. ROSENSTOCK: So why wouldn't they be
6 aware of their energy savings?

7 DR. DALE: Well, they will after they get
8 the apartment, but the determination of rent is
9 right when they get the apartment.

10 MR. ROSENSTOCK: It's also a year after.
11 It's every year afterwards when there's a rent
12 increase, correct?

13 DR. DALE: It can be. It's true.

14 MR. ROSENSTOCK: Right. And was that
15 accounted for?

16 DR. DALE: It is. In the study I'm
17 referencing at the bottom here, this Erica Meyers
18 study --

19 MR. ROSENSTOCK: Right. Yeah, that none of us has
20 seen
21 until today.

22 DR. DALE: Yeah, I know, I'm sorry. It is

1 certainly accounted for, but it is also the case, and
2 it's a much lower impact.

3 MR. ROSENSTOCK: Okay. And the question
4 also I have is, in many areas, haven't rents been
5 faster than the rate of inflation, rental increases
6 in apartments?

7 DR. DALE: Where housing is tight, rents
8 are going up. I actually can't tell you what's going
9 on inside of inner-cities, but I don't think that's
10 the case in much of the northeast, which is the reason
11 we're talking about it.

12 MR. ROSENSTOCK: And I remember you saying
13 you talked to experts at University of California
14 Berkeley.

15 DR. DALE: Yes.

16 MR. ROSENSTOCK: Did you talk to experts
17 at the Apartment Owners and Building Association or
18 National Multi-Housing Council for this study?

19 DR. DALE: I have not.

20 MR. ROSENSTOCK: Okay. Thank you.

21 MR. BROOKMAN: Yes, please, Catherine?

22 MS. CLAY: Good morning, thanks for the

1 presentation. I did have a couple of questions.
2 First of all, so in this new analysis, are you
3 assuming that in every case that the landlord would
4 actually put in the more-energy-efficient appliances,
5 more-energy-efficient furnace?

6 So what I'm getting at is, in some cases,
7 it's physically impossible or at least because of
8 code restrictions or the like, to put in the more-
9 efficient condensing furnace. So in those cases
10 where the alternative would be to put in a less-
11 efficient alternative, does that -- was that captured
12 in this at all?

13 DR. DALE: Yeah, I should be a little
14 clearer. This is not really a study of the situation
15 at hand. This is a study of how of information
16 available to tenants and landlords and what the
17 impacts will be of changes in energy bills and energy
18 costs on rents and how rapidly they're passed
19 through.

20 The question you're asking is, I think,
21 how -- is in fact the cost of equipment higher in
22 apartments or the cost of maintenance higher in

1 apartments or in typical households?

2 MS. CLAY: No.

3 DR. DALE: So that that -- I'm sorry.

4 MS. CLAY: No. No, no, no. The problem
5 is that with condensing furnaces, you may not be able
6 to actually put in the more-energy-efficient option.

7 DR. DALE: Oh, I see, it may not happen at
8 all?

9 MS. CLAY: It may not happen.

10 DR. DALE: As I said, I haven't -- this is
11 not something that --

12 MS. CLAY: No, no. You could actually
13 push people towards choices that are less energy
14 efficient.

15 MR. CYMBALSKY: This is John from DOE.
16 Let me jump in here. So what Catherine is asking
17 about is more like a fuel switching scenario. So all
18 this is saying here is that if a condensing furnace
19 is installed in an apartment which will be required
20 upon replacement sometime in the future if the
21 standard goes into effect, what we're saying is we
22 think the low-income people will possibly be made

1 better off based on this. Whether or not they switch
2 to a pump or no an electric furnace is a different
3 case.

4 MR. BROOKMAN: Dave.

5 MR. WOOD: This is Dave Wood, Allied. And
6 maybe this is getting a little bit too far into the
7 weeds, but was the cost to convert the venting
8 systems and drains considered as part of this?

9 MR. CYMBALSKY: Yes, that's all in the
10 life-cycle cost analysis that we presented at the last
11 meeting.

12 MS. CLAY: I just want to --

13 MR. BROOKMAN: Catherine follow on, yes.

14 MS. CLAY: I just want to follow up. I
15 guess I'm also just confused about the purpose of
16 this that's being presented. Is this going to mean
17 that DOE is going to amend its technical support
18 document? Are you pointing out that some of the
19 figures in the TSD are somewhat arbitrary?

20 MR. CYMBALSKY: That remains to be seen.

21 But basically, we are presenting some information that
22 we think is relevant to the low-income subgroup

1 analysis, and we're still looking at it. We're
2 presenting ideas here for comment.

3 MR. BROOKMAN: Aniruddh.

4 MR. ROY: So to Catherine's point, when
5 there is fuel switching, let's say that occurs, if a
6 landlord chooses a fuel switching option that is less
7 efficient compared to a furnace, that analysis then
8 would impact adversely the low-income housing
9 subgroup, right? Because the decision is ultimately
10 the landlord's.

11 MR. BROOKMAN: Steve Rosenstock?

12 MR. ROSENSTOCK: Steve Rosenstock, EEI.
13 The other option for the landlord is to keep
14 repairing that thing as long as possible and never
15 replace, correct?

16 And that's a lowest-cost option to the
17 landlord and so --

18 MR. CYMBALSKY: So no impact to the
19 consumer from the standard.

20 MR. ROSENSTOCK: Well --

21 MR. CYMBALSKY: Because they're using the
22 same exact furnace they had.

1 MR. ROSENSTOCK: Yeah, but there might be
2 an efficiency degradation with that same piece of
3 equipment.

4 MR. CYMBALSKY: Well, how could that be?

5 MR. ROSENSTOCK: Some pieces of equipment,
6 they start out at 80 percent of efficiency. Over
7 time, for whatever reason, even though they're
8 maintained, there might be a slight degradation --

9 MR. CYMBALSKY: They're repaired and that makes
10 it less efficient, is that what you're saying?

11 MR. ROSENSTOCK: Yes. Just over time.

12 MR. CYMBALSKY: Okay.

13 MR. ROSENSTOCK: Sometimes that happens
14 over pieces of equipment. So as a result of the
15 standard, the landlord --

16 (Simultaneous conversation.)

17 MR. CYMBALSKY: We have a lot of
18 manufacturers in the room that can talk to how their
19 equipment degrades over time.

20 Okay.

21 MR. ROSENSTOCK: I'm saying, well past the
22 normal life.

1 MR. KREBS: Mark Krebs, Laclede Group. For
2 the speaker, this paper at the bottom --

3 MR. BROOKMAN: Is your microphone on?

4 MR. KREBS: This paper at the bottom, this
5 is something that you relied on in coming up with the
6 TSD?

7 PARTICIPANT: No.

8 MR. KREBS: Not at all. Okay. We have
9 yet to -- you know, if it were, I guess I'd say we
10 need a hyperlink and this needs to be vetted in order
11 to discuss it further.

12 MR. BROOKMAN: Ashley Armstrong?

13 MS. ARMSTRONG: This is Ashley from DOE.
14 I think what we're doing here is . . . for the last public
15 meeting, we presented our analysis for the LCC
16 subgroup, and there are several commenters that raised
17 some questions or extra, I would say, considerations
18 with regards to the LCC subgroup throughout the day.
19 So one of the things we were trying to do, and the
20 Department is trying to be pretty responsive in
21 saying, well, here are some ideas. This is an
22 economic theory that's out there. There are some

1 studies. It was not considered in our analysis, but
2 what do you guys think about it. And if we were to
3 consider it, this is what we think the impact would
4 be on the LCC subgroup analysis. So it's just extra
5 information. We're going to put it in the TSD. The
6 link is going to be in the TSD, in case you want to
7 review it, but that's the purpose.

8 MR. KREBS: And it makes it hard to
9 discuss it, you know, when it's just been dropped on
10 us.

11 DR. DALE: I'll just jump in for a second
12 though. I think although that's true, you haven't
13 seen the study, the study is really just supporting
14 what I think has been sort of common assumptions in a
15 lot of papers that have been written for a long time.
16 This paper is just supporting some of those
17 assumptions that have been made in the past.

18 MR. BROOKMAN: Hang on, Steve. Don
19 Brundage, did you wish to comment?

20 MR. BRUNDAGE: Don Brundage, Southern
21 Company. The Department has made similar studies
22 like this in the past related to the impact of

1 renters, and they always choose these short-term
2 impacts at the time of the implementation of the new
3 standard. You're not going to permanently extract
4 economic rent from landlords from now until the end
5 of time. There will be a lag, but eventually rents
6 will keep up. You will not be able to permanently
7 reduce the rate of return for landlords, or there will
8 be fewer landlords, and that will balance out.

9 My point is that these are short-term
10 effects. Long-term effect: rents will balance, and the
11 proper way to approach it is to not look at whose
12 winners and losers of parties, but look at the
13 societal impact as you do with other things.

14 In the end, long-term, the renters are
15 going to be experiencing the same economics as non-renters.

16 Thank you.

17 MR. BROOKMAN: Thank you. Do you wish to
18 comment? Maybe you could just get close.

19 MR. DRUMHELLER: Craig Drumheller, National
20 Association of Home Builders. There's a couple
21 problems that I have with this that Don kind of
22 touched on a little bit. One is, you're saying that

1 the renters are going to save money, but it's going
2 to be free to them, right? There's no impact to
3 them. And so what happens is that, if they can't
4 raise their rates, then the value of the rental
5 properties go down because they don't get the return
6 on investment that they expect to get.

7 And then to take that even further, now
8 when they're going to do an analysis -- when you
9 build apartments, it's a financial decision, it's a
10 business decision, can I get return on this money?
11 If I can't, I'm an investor. I'm not a rental person
12 per se, I can go invest in the stock market. I can go
13 do whatever. I don't necessarily have to be in the
14 housing industry. So they're not going to build new
15 units, and go back to your supply and demand. Now,
16 they're not keeping up with supply. The demand is
17 going to go up. Rents go up, and we haven't saved any
18 energy, so you have to be really careful when you do
19 this.

20 I'm not an economist, but I've been
21 involved in these types of discussions in the past.
22 So I think this is a very one-sided, very short-sighted

1 approach. So I'd be careful to try to play this up
2 too much.

3 DR. DALE: Thanks.

4 MR. CYMBALSKY: Can I comment?

5 MR. BROOKMAN: Please do.

6 MR. CYMBALSKY: Well, there's a couple
7 thoughts about that. One is, it's true, we're not
8 talking about what happens to landlords, and it's
9 reciprocal. The tenants are better off and the
10 landlords are a little worse off, equally worse off.
11 But these supply and demand curves that I've shown
12 here, these are actually drawn reflecting long-term
13 demand and supply elasticities in the literature.
14 And it's very hard to come up with supply and demand
15 curves that are relevant here that would suggest
16 landlords are going to be able to raise the rent as
17 much as the cost of the equipment. And then if most
18 low-income renters are in inner cities, then the
19 supply curves are even more elastic than usual, and so
20 it would be yet harder than is suggested here with
21 this set of supply and demand curves.

22 MR. BROOKMAN: Frank Stanonick.

1 MR. STANONICK: Frank Stanonick, AHRI. A
2 couple things. First of all, we're talking about
3 low-income consumers, and maybe I'm the only one that
4 sees things so black and white here, but, this is an
5 efficiency standard addressing furnaces, the
6 manufacturing of furnaces, okay? And so the consumer
7 is the purchaser of the product being regulated. And
8 yet we're talking about a situation where the
9 purchaser of the equipment -- we're doing a life-cycle
10 analysis or life-cycle cost analysis where the
11 purchaser of the equipment is potentially getting no
12 benefit, and we're looking at the benefit to someone
13 who didn't buy the equipment. I'm just a little
14 concerned we've kind of distorted what life-cycle cost
15 analysis is supposed to be in this TSD. I mean, I
16 recognize that is an issue of the people who can
17 least afford high energy bills end up having high
18 energy bills. I don't want to be unsympathetic to
19 that. But more to the point really is, okay, so what
20 percentage -- we had an idea of what percentage of
21 low-income consumers are renters, and then what's the
22 numbers -- what percentage of those renters pay their

1 utility bill as opposed to having it included in the
2 rent.

3 MR. BROOKMAN: John Cymbalsky.

4 MR. CYMBALSKY: So, John from DOE. Sorry,
5 Victor can chime in with the numbers, but back to the
6 original thought. I agree with that, but at the last
7 meeting, as Ashley mentioned, there was a lot of
8 concern, and we had a statement right at the beginning
9 about the impact on low-income consumers. We all
10 know, and you just stated so eloquently that
11 low-income consumers' energy bills are a larger
12 proportion of their monthly income than the general
13 population. And so if we can connect the dot that
14 these particular people will actually save money on a
15 monthly basis, that has a multiplier effect on their
16 monthly income relative to the general population
17 because their percentage of their monthly income is
18 bigger for energy bills than it is for the general
19 population. So this is the theory we're putting out
20 there for comment, and so before anyone else chimes
21 in, Victor, please with the statistics.

22 MR. FRANCO: So let me give you a little

1 bit of statistics. So about 20 percent are in --
2 this is non-weatherized gas furnaces in RECS,
3 people having non-weatherized gas furnaces where
4 they're living at. 20 percent are in public housing;
5 about 40 percent are in other rental situations, so
6 that's about 60 percent are rental. Of those in the
7 public housing fraction, 40 percent pay for their
8 bills; 60 percent don't; and the rental is about 20
9 percent don't pay their bills, 80 percent pay their
10 bills of the rental fraction.

11 MR. CYMBALSKY: So let me see if I can
12 clear this up. So 80 percent of people in non-public
13 housing which represents 40 percent pay for their
14 energy bills; 20 percent do not. In public housing,
15 which is 20 percent, 60 percent do not pay their
16 energy bills.

17 MR. BROOKMAN: I didn't know that. Find a
18 microphone and speak right into it.

19 MR. SHOREY: This may have been answered
20 the last time. When you did the life-cycle costs, did
21 you stratify the sample on installation costs
22 relative to -- okay, I'm seeing an answer.

1 MR. BROOKMAN: And your name again?

2 MR. SHOREY: Everett Shorey.

3 MR. BROOKMAN: Thank you.

4 MR. ROSENSTOCK: Steve Rosenstock. Thank
5 you for those numbers. So again, because you were
6 reading really fast, okay, 20 percent are in public
7 housing; 40 percent in other rentals, so they could
8 be single-family homes or townhouses or something
9 like that where they're renting a non-apartment and
10 the other 40 percent are where?

11 MR. FRANCO: The other 40 percent are
12 owners.

13 So owners of single-family mostly, but
14 they could be multi-family situations.

15 MR. ROSENSTOCK: So in terms of the
16 technical support document, and they all say "see
17 slide" that was just up on slide 83, for those 40
18 percent that are owners, nothing should change,
19 correct?

20 (No audible response.)

21 MR. ROSENSTOCK: Okay. So that's one
22 thing in terms of the slides. So these numbers,

1 again, don't change, and you're seeing the 8.3 to 11.7
2 year payback depending on what you're assuming here.
3 The ones that are paying -- okay, the ones that are
4 other rental, if they're in single-family homes, as
5 someone who was -- whoops, sorry. Yeah, okay, as a
6 former renter in a single-family home, I do remember
7 that we were responsible for all the energy bills, and
8 we were responsible for maintenance, and for certain
9 appliances. If something happened to that appliance, we
10 were responsible for replacing the appliance.

11 Now, granted, it didn't cover heating or
12 cooling, or water heating, but everything else. And
13 in a lot of the cases, there might be situations where
14 they're responsible for the maintenance. So if
15 there's increased maintenance costs, the renter is
16 going to be responsible for it too. Was that
17 accounted for in this study?

18 MR. BROOKMAN: So we've had new material
19 presented. I thought it was a good, pretty darn clear
20 explanation there. We have additional questions
21 and comments here. Andrew deLaski? Because we're
22 about to move on.

1 MR. deLASKI: I just want to applaud the
2 Department for doing this analysis. This is actually
3 a point that we made repeatedly over the years that
4 the analysis for renters has been incomplete. I think
5 now is a fantastic time to raise it because it is
6 coming up in this docket in a very -- it's been
7 raised by many stakeholders. It was raised at the
8 last meeting, so I applaud you for coming back today
9 with a description. And what I hear is a commitment,
10 what I take from this is an intention to do a more
11 robust analysis of the impact on low-income
12 consumers. And I think that makes sense, and you've
13 gotten some good feedback today from different
14 stakeholders. And I think that will lead to a more
15 complete and robust analysis of how low-income
16 families are affected by the standard. So thank you
17 for doing that.

18 MR. BROOKMAN: Okay. Thank you. Kathryn?

19 MS. CLAY: Yeah, I want to underscore
20 Andrew's remarks. We agree as well. This is a
21 critical community that should be given due
22 consideration in the analysis. And if this is a step

1 in that direction and this is not the end point, we
2 fully support it.

3 I wonder if we could get that commitment
4 from the Department that there is going to be a more
5 robust analysis, not simply this small piece that
6 we've been presented today?

7 MR. CYMBALSKY: So this is John from DOE.
8 Absolutely. So I think that what you've seen here is
9 our first set of thinking to try to really refresh
10 and make more robust this analysis. I think your
11 organization and others have brought it to our
12 attention that this rule in particular could have
13 some impacts positive or negative that we should
14 really take a very careful look at. So this is the
15 first step, and you'll see more as we go through.

16 And, of course, we would like lots of
17 comments on this issue so we can build it into the
18 record and go forward with the analysis based on your
19 comments.

20 MR. KREBS: Mark Krebs. At this point, I
21 just want to stress that it could indeed be positive
22 or negative. You know, we don't know yet. I

1 understand this is your first blush attempt, and while
2 that's appreciated, you know, this has to have time
3 to be looked at and vetted completely.

4 MR. BROOKMAN: Okay. So then we're going
5 to move on, and I presume we're going to pick up where
6 we left off, which is slide 83. If we can -- how can
7 we advance the slides to there?

8 Thank you, Emily. And we're going to hear
9 from Victor Franco.

10 (Pause.)

11 MR. BROOKMAN: Frank Stanonik, before we
12 get started here.

13 MR. STANONIK: Since we ended on slide 83,
14 could I actually get you to go back to that slide?
15 And if my memory has failed me, it's very possible,
16 but at the end of the last meeting, I did ask the
17 question that seemed to me to be an oddity that the
18 life-cycle cost savings for senior-only category was
19 in fact higher than just for all consumers. And
20 looking at it further, I now see that for the better
21 than minimum condensing furnace, the 92s and the 95s,
22 in fact, the life-cycle cost savings for a senior in

1 the rest of the country is in fact better than in the
2 north. And that seems very counterintuitive to me
3 from just the idea that, first of all, the heating
4 season is significantly less than the rest of the
5 country, and I guess, again, I don't know the full --
6 let's say the full demographics of senior-only, but
7 you tend to think of smaller residences, generally
8 less use. Is there kind of a quick explanation to
9 that, or did you give it to me already, and I forgot?

10 MR. FRANCO: No, not at all. This is
11 Victor Franco. No, we didn't go over that last time.
12 It mainly has to do with a combination of factors.
13 So it is where the senior are living. They're mostly
14 living in a little bit higher, places with higher
15 heating loads, and also the energy prices. We can
16 give more details to that in the next version of the
17 TSD.

18 So, good morning. I'm Victor Franco
19 again, from Lawrence Berkeley National Laboratory.
20 Next, I'll be presenting the shipments model, national
21 impact analysis, and regulatory impact analysis. The
22 shipment analysis is an input to the national impact

1 analysis, and this is what I'll be focused on the next
2 few slides.

3 The purpose of the shipments model is to
4 forecast non-weatherized gas furnaces and mobile home
5 gas furnaces that would be expected to be shipped
6 between the analysis period, the 30-year period between
7 2021 and 2050, with and without energy conservation
8 standards. The shipment model considers three market
9 segments: new construction, existing furnace owners
10 replacements, and new owners. I'll be talking in more
11 detail about these in the next slide.

12 Similar to the LCC analysis, DOE also took
13 into account product switching of owners of
14 non-weatherized gas furnaces which may choose to
15 replace an existing non-weatherized gas furnace with
16 another type of space-heating product such as an
17 electric furnace or heat pump. If the non-weatherized
18 gas furnace efficiency standard is amended, the
19 fraction of products decreases over the analysis
20 period. I'll be talking in the subsequent slides in
21 more detail.

22 The shipments model also disaggregates

1 shipments by different market segments including
2 product classes and weatherized gas furnaces and
3 mobile home gas furnaces, residential and commercial
4 applications, and north and rest of country regions
5 as defined in Chapter 9. You may recall that there's
6 this 5,000 heating grade criteria. Chapter 9
7 includes details about that.

8 In addition, the shipments analysis helps
9 develop the base-case and standard-case efficiency
10 distributions.

11 So let me go into more details about the
12 shipments model in this next slide. This flow chart
13 shows the overall three market segments and the
14 inputs to calculate those. The first one is the new
15 construction which is here labeled new installations.
16 The two main inputs are projected new housing starts,
17 which come from AEO 2014 projections, and the
18 historical new construction saturations. Then, there
19 are the new owners.

20 New owners are defined as the existing
21 buildings that acquired furnaces for the first time
22 during the analysis period. The new owners primarily

1 consist of households that during a major remodel add
2 or switch to non-weatherized gas furnaces. DOE
3 assumed that there were no new owners for mobile home
4 gas furnaces.

5 For non-weatherized gas furnaces, DOE
6 assumed that new owners correspond or is equal to
7 half of the new owners observed in the shipments
8 model from 2009 to 2013. This represents about 7.5
9 percent of the overall projected shipments.

10 And I forgot to mention, new construction
11 represents about 25 percent of non-weatherized gas
12 furnaces, where it represents 50 percent of mobile
13 home gas furnaces.

14 Replacements are defined as existing
15 buildings with furnaces installed. They are
16 calculated using historical shipments, as shown here,
17 and the retirement function.

18 DOE also took into account demolitions,
19 houses removed from the housing stock, by tracking
20 year-by-year changes in the projected housing stock
21 in the AEO 2014 projections.

22 Overall, 67.7 -- 67.5 percent of

1 non-weatherized gas furnaces are replacements, and 50
2 percent of mobile home gas furnaces are replacements.

3

4 MR. BROOKMAN: Steve Rosenstock?

5 MR. ROSENSTOCK: Steven Rosenstock, Edison
6 Electric Institute. I'm going to ask a question
7 about the first asterisk there. Because I'm looking
8 at U.S. Department -- U.S. Census data that shows,
9 especially in the northeast, oil was used for a
10 significant amount of new home heating systems in the
11 northeast for many years, as much as anywhere --
12 until 2005 when it started really dropping off. But
13 from 1971 until 2005, the number of homes -- new
14 homes with oil-fired equipment ranged from 11,000 up
15 to 57,000. So especially new homes, especially in
16 the northeast, now it's dropped off a lot over the
17 last several years.

18 MR. FRANCO: Those are the yearly totals.

19 MR. ROSENSTOCK: Those are the yearly
20 totals for new single-family homes completed from the
21 U.S. Census Bureau. And my question, and I asked it
22 last time, is, why weren't other types of competing

1 heating technology considered for the fuel switching
2 analysis, especially with the long history of their
3 use in new homes, especially in the northeast, in the
4 heating-dominated climates?

5 MR. FRANCO: Thank you very much for that
6 comment, and please submit that in your written
7 comments more detail.

8 For this analysis, the shipments take into
9 account a lot of these changes already. The
10 projections do not take into account further market changes
11 because the oil market seemed to be fairly low, but
12 please submit your comment so we can potentially
13 review that in more detail.

14 MR. ROSENSTOCK: Okay. I thank you very
15 much, but, again, for this analysis, again, and we're
16 going to go into it later on, it seems like it
17 makes it like it's either gas or electric when other
18 technologies are available and have been used,
19 whether they're central systems, whether they're zone
20 systems, there's a whole array of technologies that
21 could be used to heat homes.

22 MR. FRANCO: Okay.

1 MR. ROSENSTOCK: Hold on, hold on. And I
2 believe, again, I'm going to say this, is right now
3 in my view the analysis is incomplete because you're
4 only looking at one option when there's multiple
5 options. I can't stress that enough. Thank you.

6 MR. CYMBALSKY: This is John from DOE. I
7 think we went through this at the last meeting, but
8 if you have data to support the switch from gas to
9 oil or wood or whatever, other things you're thinking
10 about --

11 MR. ROSENSTOCK: The chart is right here.

12 MR. CYMBALSKY: Okay. That has the fuel
13 switching? Can I see that?

14 MR. ROSENSTOCK: Yeah, it shows the wide
15 variety of installations by year based on gas,
16 electricity, or oil.

17 MR. CYMBALSKY: And it shows switching?

18 MR. ROSENSTOCK: No, this is just for new
19 homes. This is new homes, what they've chosen to
20 install in new homes and the wide variety --

21 (Simultaneous conversation.)

22 MR. CYMBALSKY: Well, that's in the

1 baseline. The market shares are developed --

2 MR. ROSENSTOCK: But it shows there's been
3 fuel switching back and forth based on multiple
4 conditions in the marketplace.

5 MR. CYMBALSKY: That shows fuel switching?
6 Can I see that, please?

7 (Pause.)

8 MR. ROSENSTOCK: It doesn't say
9 "switching." It shows installation, but it shows the
10 wide up and down of the different technologies used
11 in new homes based on the decision of the home
12 builders over the years.

13 MR. CYMBALSKY: It shows the market
14 disposition in new construction of heating?

15 MR. ROSENSTOCK: Correct.

16 MR. CYMBALSKY: We're very aware of that
17 data.

18 MR. ROSENSTOCK: And in the future these
19 technologies are not going away. It's not just
20 electric --

21 MR. CYMBALSKY: And they're in the
22 baseline.

1 MR. BROOKMAN: Frank Stanonik.

2 MR. STANONIK: Frank Stanonik, AHRI. You
3 went a little too quick. What was the percentage you
4 estimate is replacement furnaces?

5 MR. FRANCO: Replacement furnaces is 67.5
6 percent of non-weatherized gas furnaces.

7 MR. STANONIK: Right. Okay. All right.
8 That seems a little low, but be that as it may. And
9 just the other point, I want to maybe take a little
10 different way.

11 So the new owners as an existing
12 structure, if you will, that for the first time has a
13 gas furnace installed?

14 MR. FRANCO: That is correct.

15 MR. STANONIK: So that would include
16 whatever number of conversions have occurred in
17 recent years from oil to gas?

18 MR. FRANCO: That is correct. And that's
19 what we try to model in that number. And just to
20 clarify, we do use the data Edison Electric pointed
21 to which is the Census data to come up with the
22 saturations for the new construction. We'll go over

1 those numbers. What we used is the last five years
2 average, and then we project that as being the future.

3 MR. BROOKMAN: Victor, thanks for that
4 clarification.

5 Mark Krebs.

6 MR. KREBS: Mark Krebs, Laclede Group.
7 First of all, Steve Rosenstock, could you give us the
8 source of that document so we could check it out?

9 MR. ROSENSTOCK: Steve Rosenstock, yeah,
10 U.S. Census Bureau Housing -- I got it, Housing
11 Report, Annual Housing Report. It's online. I'm
12 happy to send it to you.

13 MR. KREBS: Forward me the link.

14 MR. CYMBALSKY: It simply shows the share
15 of heating fuel in new construction. It does not
16 make any statements about fuel switching or anything
17 like that.

18 MR. KREBS: I trust Steve that it's worth
19 looking at.

20 (Laughter.)

21 MR. KREBS: Next question. Total
22 shipments, I'm going to use this as an opportunity to

1 ask Frank Stanonik a question. I see where you're
2 going with this, but I would really still like to
3 compare what you -- you know, total shipments with
4 AHRI data, you know, raw unadulterated data. I asked
5 this at the last meeting. I want to ask it again. I
6 need it to be able to make comparisons. And, Frank,
7 please feel free to explain, you know, why you don't
8 do this anymore. A couple of years ago, you pretty
9 much stopped. I don't know why that is. I know AGA
10 has been beating on you for it, and I'm going to
11 continue. But, can you -- why is it so difficult to
12 get that?

13 MR. STANONIK: Frank Stanonik, AHRI. I
14 welcome the opportunity because in fact -- well, just
15 because I do. There's no way around it. We do what
16 our members tell us to do, and in this case, a
17 decision was made that the shipment information on
18 furnaces would no longer be -- or some of the
19 detailed information would not be -- made publicly
20 available. I can tell you right now that's being
21 reevaluated, and granted, recognizing my initial
22 statement, I still have a pretty high level of

1 confidence that we will be able to fill in the gap.
2 Because if you notice up until 2009, it was our data,
3 right? And so I think we will be able to fill that
4 in.

5 But, you know, anybody who thinks I get to
6 tell the members what they need to do, you're just
7 wrong.

8 MR. BROOKMAN: Frank, thanks for those
9 comments. And I'm certain everyone in this room
10 would appreciate it if your members do agree for you
11 to follow up and provide that data. That will provide
12 a lot of clarity. I didn't get your name at the
13 outset.

14 MR. MURPHY: Richard Murphy, AGA.

15 MR. BROOKMAN: Make sure you've got the
16 microphone on. It's not on yet, I don't think.

17 MR. MURPHY: You had indicated that for
18 the new market and the conversions from oil to gas,
19 you used a period of five years, the last five years,
20 and projected that going forward. The last five
21 years has seen an aggressive number of conversions from
22 oil to gas, so would you anticipate that continuing

1 at that same pace in this analysis?

2 MR. FRANCO: That's what we assumed in the
3 analysis, and the market share is significantly
4 less. The market share is constant, so it wouldn't
5 vary from that. That's our assumption.

6 MR. BROOKMAN: Charlie.

7 MR. McCRUDDEN: Charlie McCrudden, ACCA.
8 I'm still confused on the difference between a new
9 owner and, I guess, a replacement. A new owner is --
10 this is going to sound like I'm thinking way too
11 basic. You're not suggesting that that's a structure
12 that has no heat, that has been existing without heat
13 and you're putting something in, a furnace for the
14 first time, are you?

15 MR. FRANCO: Not exactly. So it could be,
16 for example, that they might have had like oil
17 equipment. That's one possibility.

18 MR. McCRUDDEN: Okay.

19 MR. FRANCO: Another possibility and it
20 was for a time, as they became part of the market,
21 they probably didn't have a centralized heating
22 system. They might have had direct heating, some

1 other type of heating system, and they did a major
2 remodel.

3 MR. McCRUDDEN: And it looks at both
4 condensing and non-condensing non-weatherized gas
5 furnaces?

6 MR. FRANCO: This is correct. This is
7 primarily for the base case which is the current standard,
8 and
9 it does look at both condensing and non-condensing furnaces.

10 MR. McCRUDDEN: Thanks.

11 MR. FRANCO: So moving on to the next
12 slide, this presents the inputs, the actual
13 references. And so this has some of the references
14 that we discussed, and further details about these
15 references are available in the TSD. The links and
16 the full references are available there.

17 Let's first discuss the two main inputs
18 for the retirement function for the retirement shipments,
19 replacement shipments, which include the historical
20 annual shipments, and the retirement function.
21 Before going into too much more detail about that,
22 because that was a question about the shipments, the

1 total shipments that we used in terms of doing our
2 projections are based on AHRI up to the last year
3 that we have data.

4 The disaggregated shipments between
5 south/north and between condensing and non-condensing,
6 we only have data up to 2009, and that's the latest
7 data that we have that on.

8 First, we started looking at Appliance
9 Magazine furnace shipments from 1961 to 2012.
10 Those match, for the most part, AHRI numbers that
11 we've gotten at various times from 1972 to 2005. The
12 primary source for the shipments from Appliance
13 Magazine was AHRI, so that makes sense that they
14 would match. After that, AHRI did provide from 2005
15 to 2009 this aggregated north and south values for
16 that time period.

17 After that, we're just using total values
18 from Appliance Magazine and AHRI, which they match
19 from 2009 to 2012.

20 It's important to clear up that the numbers
21 that we got from AHRI are actually combined,
22 non-weatherized gas furnace and mobile home gas

1 furnaces, so we have to disaggregate those, and we
2 used this method of disaggregating them. Based on new
3 construction data for mobile home gas furnaces, based
4 on the lifetime that we assume for mobile home gas
5 furnaces, and the saturation of mobile home gas furnaces
6 from the American Housing Survey, we come up with
7 what we think are the shipment -- historical
8 shipments for mobile home gas furnaces which range
9 between 2 to 3 percent, historically, maybe a little bit
10 higher up to 4 percent of total shipments.

11 The last time we discussed the lifetime,
12 based on the lifetime from the LCC analysis, we come
13 up with a retirement function.

14 Now, let's talk about the other inputs to
15 the new construction market. The new construction
16 market uses the saturations for the characteristics
17 of new housing data from the U.S. Census Bureau, which
18 was the source that we've been discussing before. We
19 also use data from RECS 2009 to come up with
20 saturations.

21 In terms of projections, we use data
22 that's available from AEO 2014 to project the actual

1 housing starts in the future.

2 Lastly, the product switching comes into
3 play in terms of the standard cases, and that's based
4 on the consumer choice model in the LCC analysis.

5 If there are any questions, we'll stop
6 here.

7 This next slide shows both the historical
8 and projected numbers. So, as you can see, the
9 historical numbers are shown here. They match
10 exactly the data that's been provided by AHRI. That's
11 important in terms of total shipments, and also the
12 Appliance Magazine numbers.

13 Further details about these numbers are
14 available in Appendix 9B of the TSD with appropriate
15 references.

16 The second part of this chart shows our
17 projected numbers. Our projected numbers range from
18 a little bit more than three million to almost about
19 four million by 2050.

20 MR. BROOKMAN: Question real quick?

21 MR. ROSENSTOCK: Steve Rosenstock, EEI.
22 For the projected, what is your -- for new homes,

1 what's your projected rate for new homes completed
2 by, I'll say 2017? What's your -- because I see how
3 it really jumps up quite dramatically, I'll say, in
4 2017 or so? I'm just kind of curious. Again, I was
5 looking through -- what is the -- does that bump up
6 because of the huge rise in new home construction?

7 MR. FRANCO: That is correct. AEO 2014
8 projects that new homes will rise to an average, more
9 or less historical, level of about 1.5 to two million new
10 homes per year. This is in single-family --

11 MR. ROSENSTOCK: Single-family new homes?
12 (Simultaneous conversation.)

13 MR. FRANCO: And it levels out, yes, and
14 is constant over time, pretty much.

15 MR. ROSENSTOCK: You say 1.5 to two
16 million because -- Steve Rosenstock -- I'm looking
17 at, again, the Census Data in the American Housing
18 Survey, and the only years when it was, at least for
19 single-family homes, when it was 1.5 million were in
20 the boom years of 2005 -- 2004 through 2006. All
21 other years, it was around a million, and in 2013, it
22 said 569,000. So they're assuming that the rate of

1 new construction is going to basically triple by
2 2017. Is that right?

3 MR. FRANCO: I actually misspoke. That's
4 the total including multi-family and mobile homes.

5 MR. ROSENSTOCK: Oh, okay.

6 MR. FRANCO: Sorry.

7 MR. ROSENSTOCK: So that's including
8 multi-family?

9 MR. FRANCO: Yeah.

10 MR. ROSENSTOCK: Okay. Got you. So
11 you're saying 1.5 million including multi-family.

12 MR. FRANCO: Yes.

13 MR. ROSENSTOCK: Thank you.

14 MR. FRANCO: This chart shows the
15 distribution in terms of the different market
16 segments that I talked about. So this includes new
17 owners, new construction replacements, and it also
18 includes the north versus the rest of the country.
19 So, again, this relates also to the fractions that I
20 mentioned earlier in terms of fraction of new
21 construction, fraction of the owners, and fraction of
22 replacements.

1 MR. DRUMHELLER: So this is assuming that
2 this goes through, right? That there's a 92-percent
3 requirement north and south effective January 2021?
4 Is that --

5 MR. FRANCO: Let me clarify. This is
6 actually the base case which I forgot to mention. This is
7 the base case. This is without amended standards.

8 MR. DRUMHELLER: All right.

9 MR. BROOKMAN: So that was Craig speaking
10 there.

11 MR. DRUMHELLER: Craig Drumheller,
12 National Association of Home Builders.

13 MR. BROOKMAN: Thank you. Frank Stanonik.

14 MR. STANONIK: Frank Stanonik. It's
15 clearly not the major thing driving this chart. But
16 I think it's the new owners, okay? It seems to me
17 that the population of new owners is by definition an
18 ever decreasing base, okay? And so I really question
19 the fact that it looks to me like your new owner
20 lines in this graph seem to be pretty much equal as
21 we go forward. And, again, we're really talking
22 about whether you want to look at it simply as let's

1 say being a little -- bad joke here -- being a little
2 crude, but assuming every oil customer was a
3 potential switchover, okay, and also the folks who
4 don't have central heating, okay, both of those
5 populations are kind of fixed. They're not going to
6 be steady. So I think at least part of that, the
7 assumption that those would be constant through the
8 succeeding years, is, I think, a little bit of an
9 overstatement.

10 Now, again, as I said, I realize that's a
11 small piece here, but I think it's a little far.

12 MR. CYMBALSKY: This is John from DOE.
13 But I guess, Frank, all the new construction that's
14 going in place in the intervening years that have
15 electric fall into that pool as well.

16 MR. FRANCO: Thank you.

17 So now we're going to be talking about the
18 fuel switching aspect. So now we're talking about
19 the standards case. In the standard cases, we're
20 considering potential for fuel switching. This table
21 presents the actual percentage of switching from
22 potential for non-weatherized gas furnaces to other

1 equipment, for example, electric furnaces and heat
2 pump. As you can see from this chart, these fractions
3 are disaggregated between north, replacement and new
4 construction, rest of country, replacement and new
5 construction.

6 I'll give you a second to ask questions.

7 MR. ROSENSTOCK: Steve Rosenstock, EEI.
8 Again, you heard what I said before, and I believe
9 that this chart is incomplete without looking at
10 other technologies that are available and on the
11 market that are especially in the new construction
12 area. I'm just looking at the Census Bureau data
13 again, and I remember that in 2005, there were record
14 wholesale gas prices. I believe it got up to \$15 per
15 million BTUs as a result of the hurricanes, and by
16 December that year, it was staring to be a cold
17 winter, the gas prices -- they were just record gas
18 prices. Okay. That year and next year there were
19 over one million homes built with gas heat, even in a
20 time of record gas prices.

21 Okay. So I mean, even in a time of record
22 prices when people aren't switching and now gas

1 prices are very, very steady, very low at about \$2.70
2 cent per million BTUs the last time I looked on the
3 Henry Hub, and if gas price projections are pretty
4 much flat, or very, very steady, or very slow
5 increasing, I think a lot of these numbers, as much
6 as I would like to -- a lot of my members would like
7 to see this, I don't see these numbers as happening.
8 I'm sorry. Thank you.

9 MR. BROOKMAN: Okay. Thank you.
10 Keep going, Victor.

11 MR. CYMBALSKY: Can I ask a question. So
12 thank you for that comment. That's the kind of
13 comments we like to hear, like a definitive
14 statement.

15 Do you have a sense? So we're saying here
16 that, you know, switching is about, say 20 percent in
17 the south and looks like 11 percent in the
18 replacement markets, do you have a different
19 percentage in mind if a 92 percent standard were to
20 come into effect? Do you think it's half that, a
21 quarter that?

22 MR. ROSENSTOCK: Steve Rosenstock. I wish

1 I had that data. I don't have that data. All I can
2 say is I'm just looking at some of the historical
3 data when the gas prices were very high, and there was
4 an economic driver to even look at other new
5 appliances, and it didn't seem to make a difference.

6 Now, 2008 was another year of record high
7 gas prices, also right in the middle of the recession,
8 so everything was going downhill everywhere. But all
9 I can say is, in my view, of course, it's all about
10 theories and everything. In my view, I wish I had a
11 number. I don't have a number. I believe that, you
12 know, all I can say is, the home builders would have
13 a better idea of all the technologies that builders
14 are looking at, not just the electric. It's not just
15 the one or the other. And, you know, oil furnaces
16 are an option for these builders. They exist. They
17 are an option, especially in new construction, and if
18 their prices are lower than the gas furnace or
19 electric heating system, I'm guessing that a certain
20 percentage of builders will look at that option
21 because they're out there, and there might be other
22 things like wood, you know, there might be wood

1 systems or solar systems they might look at because
2 of tax incentives. They're out there. So I don't
3 know how much less the fraction is, but this is a
4 personal view. I don't have a study. I wish I had
5 some data. I don't. But in my personal view, I
6 believe the fraction is less. I can't tell you how
7 much less.

8 Thank you.

9 MR. BROOKMAN: Yeah, Andrew deLaski.

10 MR. deLASKI: I was sorry I had to leave
11 last time before we got to the fuel switching
12 discussion, so I think you went through the methodology
13 for that at the end of the last meeting that was
14 discussed, so I don't want to bring us back to that
15 discussion.

16 MR. BROOKMAN: Andrew, get close to that
17 microphone, please.

18 MR. deLASKI: But I do want to pile on
19 Frank a little bit.

20 So I was just thinking out loud here, and
21 I'm wondering, Frank, to the extent the AHRI members
22 are able to provide data on heat pump shipments as

1 well if that would help, if that would be instructive
2 to the Department in helping us to understand the
3 relative shipments of the two competing technologies
4 in electric furnaces as well, because, again, these
5 are the same manufacturers making these products by
6 and large. To the extent that we had time series
7 data on the shipments of all the competing
8 technologies, that would be, I think, a big assist to
9 the Department in helping to validate. I think you
10 have a good methodology that you laid out last time.
11 I think it predicts more switching than I would
12 expect. I think the market is probably a lot more
13 sticky than you have predicted, that people do what
14 they've done before, and there's a lot of inertia in
15 markets and that you've not captured inertia. And I
16 would expect -- what I would look to, so thinking
17 about data sources, is the AHRI shipping data seems to
18 me would be a very valuable resource to you.

19 So, Frank, as you're talking to your
20 members and you're optimistic about getting data for
21 furnaces, I hope you would do the same for heat pumps
22 and for electric furnaces as well.

1 MR. CYMBALSKY: This is John from DOE. So
2 since there's some AGA folks in the room, back in my
3 former profession, AGA used to do a fuel switching
4 study actually mapping which fuel they switched from
5 and to. It was mostly to gas at the time. So this
6 was circa 2000, 2002. Unfortunately, when I switched
7 jobs, I gave up my right to keep the survey, but,
8 they did have a very nice survey about what fuel
9 switching actually occurred in their member
10 companies. I'm not sure they do that particular
11 survey anymore, but it was very helpful in the
12 development of the NEMS model for EIA that I did in
13 my former position to actually try to project fuel
14 switching. But what I can tell you, counter to what
15 Steve is kind of thinking about, switching to oil or
16 wood or whatever, that just didn't happen. You know,
17 homes that are built in New England, in particular,
18 they'll be built with oil because they don't have gas
19 lines available. It is a more -- it's cheaper than
20 propane per BTU, and they will do that.

21 Now, if the gas line is there, they're not
22 going to bury an oil tank. I hate to tell you, it's

1 not going to happen. So I don't know if AGA does
2 that study anymore, but that was a very valuable data
3 source to look at in terms of fuel switching. Other
4 than that, I can tell you, there's not too much out
5 there in terms of real data.

6 You can make inferences from shipments,
7 but it's very difficult.

8 MR. BROOKMAN: Yeah. So, Rick, can you
9 comment here?

10 MR. MURPHY: Yes, John, I'm not familiar
11 with that study back at the time that you're
12 referring to. But I believe it had to do with the
13 customers that converted from an alternative fuel to
14 natural gas, not the other way.

15 As you know, we did try to improve the
16 level of intelligence that we have on the switching
17 going the other direction by going out and speaking
18 with contractors and builders about a year and a half
19 ago to give them -- the question is, how would you
20 react to a national standard that required condensing
21 equipment? And we have the results of that study
22 that we share with yourself and other stakeholder

1 groups that actually showed that it was actually a
2 higher percentage of switching than this indicates.

3 We realized that we did not get the level
4 of response that we would have liked to across the
5 country. However, we did get a significant amount of
6 responses that indicated that because of their
7 experience in the pricing associated with the
8 condensing of equipment, that a certain percentage of
9 the market and a certain percentage of new installs,
10 they would actually move away from a natural gas
11 furnace.

12 MR. BROOKMAN: Okay. Rachel, comment here?

13 MS. FEINSTEIN: Rachel Feinstein, Hearth
14 Patio and Barbecue Association. With regard to
15 wood-fueled furnaces, or wood, forced-air furnaces,
16 usually there are two different sizes, a smaller size
17 and a larger size, and they're usually used to --
18 they're connected to an existing gas or propane, or
19 oil-fueled furnace to give an extra supplemental
20 energy to the system to kind of what we say, turbo
21 boost the home system. And it's usually in addition
22 to the gas or oil or propane-fueled systems and not

1 a replacement. It's mostly very rural areas,
2 northwest, Midwest. Wood, forced-air furnaces are
3 sold in like the Midwest, northwest and not very
4 urban areas.

5 MR. BROOKMAN: Do you all have data on
6 that?

7 MS. FEINSTEIN: Not -- we do not because
8 there are just not many sold. It's a very small
9 market. It's also a newly regulated category by the
10 EPA as well, wood, forced-air furnaces.

11 MR. BROOKMAN: John Cymbalsky?

12 MR. CYMBALSKY: I just want to say thanks
13 to both Rick and HPBA for providing that information.
14 It's helpful, and I know we looked at the study, and
15 we used the study, and as we said in the last meeting,
16 actually the results overall --

17 MR. ROSENSTOCK: What happened to those ground
18 rules?

19 (Laughter.)

20 MR. CYMBALSKY: My, oh, my. But I think
21 what we shared last time is that the AGA switching
22 and the DOE switching, actually, percentage-wise, are

1 roughly the same. There are differences in where
2 they switch and some of the other things we went
3 through. We're not going to revisit it, but, we do
4 thank you for that study and thank HPBA for that
5 information as well.

6 MR. BROOKMAN: Yes, please, Jim.

7 MR. MOORE: Jim Moore with Laclede. One
8 of our concerns is with this switching, and using the
9 DOE data, we're seeing a huge switch to electric in
10 particular places like Arizona. And yet we believe
11 you're including the -- that's an economic decision.
12 They would have switched without this rule. But,
13 yet, all those savings are included in your LCC
14 calculations, and that's a concern for us. We think
15 you're overestimating the LCC savings in that case.

16 And then again to Frank, I understand the
17 proprietary nature of your data and that you don't
18 want to give up all that. What I would be interested
19 in seeing is just the breakdown between condensing
20 and non-condensing, because I firmly believe that
21 we're already there. That DOE is required to look at
22 whether or not we should -- what happens without this

1 rule. And I believe the market is doing its job, and
2 we're already there, and I think your data can prove
3 that.

4 Thank you.

5 MR. BROOKMAN: When you say "already there,"
6 be more specific.

7 MR. MOORE: I don't remember the exact
8 data point, but if you look in the chart on 8I where
9 there's a huge drop off, because we don't have AHRI
10 data and we switched to EPA and then EPA switched the
11 rules in the middle of the game, and so we have this
12 huge drop. I believe the starting point of that
13 curve is much higher than it is.

14 MR. BROOKMAN: Okay.

15 MR. MOORE: Did that answer your question?

16 MR. BROOKMAN: Yes.

17 MR. MOORE: Thank you.

18 MR. BROOKMAN: Steve Rosenstock?

19 MR. ROSENSTOCK: Again, Steve Rosenstock,
20 EEI. I said this before, but again on the record, as
21 I recall with the previous rulemakings for electric
22 heat pumps, I don't remember any fuel switching

1 analysis being done by this Department. And now heat
2 pumps are going up from 10 SEER to 13 SEER, to 14 SEER in
3 the last nine years, so there might be some fuel switching
4 the other way. To totally ignore that in the context
5 of this analysis, I believe, is another way of -- it's
6 just not complete because what about the impact of
7 that technology going the other way? And I guess
8 I'll ask from now on for any space heating system,
9 for any space heating analysis, are you going to do a
10 fuel switching for every product from now on?
11 Because to do it for one product and not other
12 products just seems inconsistent.

13 MR. BROOKMAN: So all your written comments
14 on these points will be very, very helpful to the
15 Department.

16 Frank Stanonik?

17 MR. STANONIK: Frank Stanonik, AHRI. And
18 I'm glad you got this one because the slide we were
19 looking at was just non-weatherized gas furnaces, and I
20 was just curious if you've looked at the potential
21 fuel switching impact on mobile homes from the
22 perspective, particularly of new mobile homes?

1 Because that really is in the hands of the builder
2 and I mean, not that I have direct contact with those
3 manufacturers of the manufactured homes, my
4 understanding, it is already a very price-driven kind
5 of industry and who isn't, and on top of that, if you
6 will, there's no way around it, it's a lot easier to
7 cite a, if you will, all electric manufactured home
8 than one that needs a secondary fuel whether it's
9 gas, oil, or whatever. I just wonder if that's been
10 looked at. What, you know, maybe just talking to
11 those manufacturers or what happened if their only
12 option was a condensing furnace.

13 MR. FRANCO: Thank you for that comment.
14 We did approach experts, and we did approach people in
15 that area, especially in the new construction. That
16 was something that we were looking at.

17 One of the primary things to consider in
18 the consideration of what things potentially would be
19 switching is the installation costs, and, for this
20 equipment, the installation costs between a
21 non-condensing and condensing is not very significant
22 for the mobile home. It's primarily due to the short

1 venting length. Usually if you look at a mobile home
2 furnace, it sits in a kind of closet area, and it's primarily
3 vented vertically, so it's only one story. It's very
4 short, and so it's not a huge installation cost
5 differential. It's mainly the equipment costs, so
6 that was the primary concern. So please provide your
7 comments so we can take a look at that further.

8 MR. BROOKMAN: Victor has cued the comment
9 slide here. As I look at these three, and Victor, I
10 invite you to call out ones for which you would like
11 to receive additional comment. We've begun to
12 address all of these three, I believe, but is there
13 anything else you wish to seek or emphasize?

14 MR. FRANCO: The first one I haven't heard
15 anything about specifically just the fraction of
16 commercial applications. In our analysis, we assumed
17 3 percent of residential furnaces are used in
18 commercial applications. Any additional feedback
19 would be appreciated.

20 MR. BROOKMAN: Craig Drumheller?

21 MR. DRUMHELLER: Craig Drumheller,
22 National Association of Home Builders. I just wanted

1 to kind of go a little bit further with the
2 methodology. One, I know you have to determine what
3 the difference is going to be in shipments both
4 before and after this rule may or may not be in
5 place. And when you do your cost analysis, your cost
6 analysis includes the ones that were shipped that
7 were switching anyway to the higher-efficiency
8 equipment. So they're the ones that have already
9 determined that it's cost-effective, and said, you
10 know what, we're going to go ahead and do this
11 because it makes sense for us.

12 I would be very interested in an analysis
13 that goes after that delta, the people that are now
14 forced to switch that would not have switched
15 otherwise, because a lot of them are doing it and
16 because it doesn't make economic sense. And it might
17 be a retrofit. It might be a specific location.
18 There might be other reasons why they're not doing
19 the switch, and I think you're going to find a huge
20 difference in the cost effectiveness when you parse
21 it for that delta of the people that didn't intend to
22 switch because it didn't make sense for them. And I

1 think that's a very important distinction to be able
2 to do that because when you group them altogether, it
3 pulls -- the people that it already made sense for
4 overwhelm the ones that it doesn't make sense for.
5 And I think we need to let the market kind of dictate
6 the way that this needs to move forward.

7 MR. BROOKMAN: Thank you.

8 MR. CYMBALSKY: So that's already done in
9 the analysis. Those are the no impacted people that
10 already did it.

11 MR. BROOKMAN: Thank you, John. Dave.

12 MR. WINNINGHAM: This is Dave with Allied
13 Air. In the NOPR, it says DOE has concluded that a
14 repair option really wasn't considered in this. In
15 other instances where we've seen increased product
16 costs, we see an increase in repair versus replace.
17 Can you elaborate on how you came to that conclusion?

18 MR. FRANCO: For this analysis, our primary
19 focus was on the equipment switching. We saw that as
20 the -- building that model. Once we built that model,
21 it was inconsistent with how we presently do what
22 you're referring to which is the repairing of the

1 equipment, which is based on the price elasticity. At
2 this time, we haven't been able to reconcile both
3 methods. We assume that a fraction of the people
4 that we're assuming currently are doing the product
5 switching, potentially would do the repair, and it
6 would be a similar impact, or it might be slightly
7 more advantageous potentially to do the repair. So
8 we think that we're -- at this point we're
9 conservative in that regard, but we would like your
10 feedback to look at that in more detail.

11 MR. BROOKMAN: Is that in the TSD, Victor?

12 MR. FRANCO: That's in the TSD.

13 MR. BROOKMAN: Let me see, Rick?

14 MR. MURPHY: John, I'd just like to go
15 back to something you just mentioned just so I
16 understand it correctly. You said that the customers
17 who do fuel switching, because it makes economic
18 sense, are included in the no-impact section of the
19 -- I need to understand that.

20 MR. CYMBALSKY: So the baseline shipments
21 already include sort of the market of switching that
22 happens naturally without any standards. So the

1 shipments forecast builds that in. Okay. That's
2 baked in. What we're looking at is the marginal
3 analysis to when you impose the standards, and so
4 what I was addressing from the NAHB gentleman is that
5 the people who switched to the higher-efficient
6 furnace are the no-impacted people. He was saying,
7 how many people think this is a good thing to do
8 anyway, right? That's in the model.

9 MR. MURPHY: That's in the model, but it's included
10 in the
11 no-impact group?

12 MR. CYMBALSKY: Correct. Because they're
13 doing it anyway without the standard. The people who
14 switch fuels, naturally occurring switching, that's
15 in the baseline shipment data. So that's baked into
16 the baseline as well. So we're only looking at what
17 happens, the delta above that level.

18 MR. MURPHY: And if that's the case, why
19 does -- if you choose the selection for no fuel
20 switching in the LCC that the life-cycle cost benefits
21 actually go down?

22 MR. FRANCO: The life-cycle -- this if

1 Victor Franco. The life-cycle cost benefits in the
2 switching situation or the non-switching situation?

3 MR. MURPHY: Non-switching.

4 MR. FRANCO: Non-switching situation. So,
5 in the non-switching situation, you're assuming that
6 these households that have very large installation
7 costs don't switch. Those households when you do the
8 switching do switch and capture those benefits of not
9 having to have those large installation costs.

10 MR. CYMBALSKY: So this is the inertia
11 that Andrew brought up. So they face high costs to
12 go to the condensing, and they pay it. So they're
13 impacted, they didn't switch. So those are the
14 impacted set of people.

15 MR. BROOKMAN: Thank you, John. Mark
16 Krebs.

17 MR. KREBS: Mark Krebs. I want to chime
18 in with Allied Air's consideration that, you know,
19 the market is a very innovative device, and I believe
20 it is probable that as a result of this rule of
21 banning non-condensing furnaces, that you will
22 unwittingly develop a cottage industry of firms that

1 go around repairing non-condensing furnaces. And
2 that should be -- that potential should probably be
3 considered by DOE in this rule.

4 MR. BROOKMAN: Okay. Thank you. Frank
5 Stanonik.

6 MR. STANONIK: Victor, the second box, the
7 projection of future shipments, one of the earlier
8 slides was, you know, clearly there was a -- I'll
9 call it an artificial peak in the relationship of
10 condensing versus non-condensing in slide 69 driven
11 by -- I think driven primarily by tax credits, but
12 other incentives probably. It was in the years like
13 probably '09 to '12. So in terms of -- okay, so
14 that's there. Those are now in the field, that, you
15 know, huge jump there. And so, again, my simplistic
16 view, let's say they were installed in 2010, okay.
17 So I look at that, and I say, okay, in 2010, if I go
18 out about 20 years, I'm going to have this huge blip
19 that needs to be replaced, and I would argue that if
20 the person has already bought a condensing furnace,
21 they're going to replace it with a condensing furnace
22 or whatever equal to that in 20 years, and then in

1 another 20 years, you've got another blip. So my
2 question is, is your straight line there factoring in
3 that blip, or does it not? That's a technical term
4 "blip" by the way.

5 (Laughter.)

6 MR. FRANCO: Thank you so much for that
7 comment. So actually, when we did the furnace fan
8 analysis, the actual shipments were decided between
9 non-condensing and condensing, and there, we actually
10 did two projections of shipments by non-condensing
11 and condensing, and you could see kind of those more
12 clear blips.

13 This is a little bit of simplification.
14 It does match the overall shipments, but it does not
15 include what we could call those blips. And we
16 appreciate a comment in that regard, and we can look
17 at that further.

18 MR. CYMBALSKY: I think the distribution
19 of the way it retires actually will serve to flatten
20 out the blip, right?

21 MR. STANONIK: No, no, no. Absolutely.
22 Yeah, it would be spread out over the years, but I

1 guess I was trying to get a sense of to what extent
2 it gets rolled into that.

3 MR. BROOKMAN: Yes, Charlie?

4 MR. McCRUDDEN: Charlie McCrudden, ACCA.
5 Your first request for comment box references the
6 number of furnaces used in commercial applications.
7 This is sort of the first, I think, that that concept
8 has been brought up in these slides. Can you sort of
9 give us some sense of what you think perhaps it is
10 for 3 percent? And that's in the TSD somewhere?

11 MR. FRANCO: That is correct. That's
12 based on -- the methodology is based on looking at
13 CBECS and RECS data in terms of what we think if they
14 have a commercial or residential furnace, looking at
15 those saturations, then we come up with 3 percent.

16 MR. McCRUDDEN: Thank you.

17 MR. BROOKMAN: Is it John?

18 MR. HERSE: Yes, John Herse with Lennox.

19 Going back to the previous chart that shows the
20 future projections, no, the other one. No, not that
21 one.

22 MR. BROOKMAN: The one that --

1 MR. HERSE: The one that we were just on.

2 The blip chart.

3 MR. BROOKMAN: Sixty-three or something.

4 PARTICIPANT: Sixty-nine.

5 MR. HERSE: So speaking as a manufacturer,
6 and one of those entities that I have it on
7 relatively good authority that the new information
8 will be released for furnaces. But just an
9 observation, our experience was that precipitous drop
10 wasn't as steep as you show, and our belief, based on
11 prior history, is that that curve is flatter than it
12 should be. We see adoption through a tax incentive,
13 but it doesn't drop below. There is actually -- it
14 moves consumer adoption higher, and I think the data
15 will show that. So it would be interesting to recast
16 that with better input data.

17 MR. FRANCO: That would be really
18 appreciated. Thank you so much for your comment.

19 MR. BROOKMAN: Everyone welcomes that.
20 Thank you very much.

21 Okay. Final comments on these issue
22 boxes. We're about due for a break.

1 Yes, Greg.

2 MR. MOORE: Jim Moore from Laclede Group.

3 Just echoing what Frank said, if you go to the
4 historical and projected case shipments, the blue
5 slide, you have a big dip in the '08, '09, '10
6 timeframe, which is understandable, and likewise 20
7 years out, you're going to see another dip again.
8 Now, it might not be as deep, but it's going to be
9 out there as people go to replace those furnaces.
10 Just an observation.

11 MR. BROOKMAN: Okay. Thank you.

12 Let's take a break. It's now 10:52. Let
13 me see. Let's resume at 10 minutes after 11 here in
14 this room. Please make sure to wear your badge.
15 There are restrooms at both ends of the hall.

16 (Whereupon, at 10:52 a.m., a brief recess
17 was taken.)

18 (Record resumes at 11:14 a.m.)

19 MR. BROOKMAN: I've received a note. We're
20 starting back up folks, here we go.

21 Apparently Neal Leslie who is joining us
22 on-line has a comment and a question. Neal, you

1 should be now unmuted, please speak.

2 (Pause.)

3 MR. BROOKMAN: Haven't heard you yet.

4 Yeah, okay, Neal, you're not coming through here in
5 the room. So maybe we can figure out what's going on,
6 and we can try you back later.

7 We're going to resume where we left off,
8 and we're going to hear from Victor Franco.

9 MR. FRANCO: Hi, this is Victor Franco
10 again. We just finished the shipments analysis, the
11 primary input to the national impact analysis, which
12 will be the next topic. The national impact analysis
13 estimates the national impacts of energy conservation
14 standards for non-weatherized gas furnaces and mobile
15 home gas furnaces shipped between 2021 and 2050, this
16 30-year analysis period. There's two primary outputs
17 of this analysis. One is the national energy
18 savings, or NES, which calculates the primary energy
19 savings, and then net present value or NPV, which
20 calculates the difference between the net present
21 value of annual energy expenditures and the present
22 value of annual equipment expenditures.

1 The method is to calculate for each
2 product class in each of the standard cases,
3 calculate the per-unit cost increase and per-unit
4 energy savings. In addition, calculate the number of
5 units in the stock used between 2021 and 2050 and
6 combine to determine the NES and NPV. The next few
7 flow charts will show this approach.

8 Let's start with the NES or national
9 energy savings. So the shipments analysis is
10 one of the primary inputs. Here on this chart, we have
11 on the right side the base-case projections and on
12 the left side, the standards-case projections. We
13 combine the shipments analysis with the base-case
14 annual energy consumption to come up with the base-
15 case cumulative energy use. From the standards-case
16 we do the same. We combine the standards-case annual
17 energy consumption to come up with the standards-case
18 cumulative energy use. Then, we use site to source
19 energy conversion factors to come up with the final
20 national energy savings.

21 In terms of the net present value, again,
22 we start with the shipment analysis numbers. We

1 combine them with inputs -- with inputs for energy
2 costs, maintenance and repair costs, and total
3 installed costs for both the base-case projections and
4 standards-case projections to come up with cumulative
5 operating
6 costs. We combine energy costs and maintenance and
7 repair costs both for the base case and standards
8 cases. To come up with the cumulative total consumer
9 costs, we combine the total installed costs of both the
10 base case and standards cases. We then use discount
11 rates to come up with the net present value.

12 This table summarizes all the different
13 inputs that go into the analysis. More details are
14 available in Chapter 10 of the TSD.

15 A lot of these inputs come from the LCC
16 analysis. One of the primary inputs is the annual
17 unit energy consumption which is an average value
18 that comes from the LCC analysis. It's both for the
19 product class, but for this rulemaking it's actually
20 also provided for different market segments that we
21 discussed earlier. It's provided for new
22 construction and replacements, and it's also provided

1 for commercial and residential and for the regions we
2 are considering -- north and rest of country.

3 For the shipments we have discussed earlier,
4 the product stock is determined as the yearly stock
5 using the annual shipments and lifetime of each of
6 the product classes. For this rulemaking, we consider
7 the rebound effect. It's a 15 percent rebound effect
8 for this rule.

9 Base-case efficiency distributions I'll
10 discuss in further detail in the next slide.

11 The site-to-source conversion factors come
12 from AEO 2014 data. We also add full-fuel-cycle
13 conversion factors that actually also come up from
14 AEO 2014 data.

15 The total unit cost -- the total installed
16 cost per unit and total operating cost per unit come
17 from the LCC analysis as well and are designated by
18 the market segments.

19 Finally, we come up with -- we use two
20 discount rates that are used by OMB -- 7 percent and 3
21 percent.

22 Let me discuss in more detail the base-

1 case projections and distributions. As we discussed
2 earlier in the LCC analysis, we come up with base-
3 case market shares for 2021 and project that into the
4 future. The distributions are shown here at the
5 national level, 55 percent in the baseline, 5 percent
6 level one, 17 percent level two, and 23 percent level
7 three. For each of the trial standard levels, we come
8 up with different market shares as well depending on
9 whether the standard will require condensing or not.
10 For some of the trial standard levels, since it's a
11 regional standard, there will be a mixture.

12 For example, for trial standard two, there
13 is not applicable for -- up to the third, since it's the
14 standard for the north will be condensing. For the
15 other market shares, non-condensing is still
16 applicable for the south.

17 The distribution over time is shown in the
18 graph for all of the product classes in the base
19 case. The standards-case distribution is available in
20 Chapter 10 of the TSD.

21 MR. BROOKMAN: Andrew DeLaski?

22 MR. DeLASKI: I'm not sure when a good

1 time to raise this is. Maybe now is a good moment.
2 Victor, in many dockets, the Department will also
3 model what you typically call a shift scenario which
4 would typically look at some shift. You know, for
5 example in this scenario, if the market shifts to a
6 95-percent standard, for example, manufacturers have
7 an incentive to be able to offer an approved product
8 and to sell out, right. The markets typically
9 exhibit a good, better, best kind of structure, and
10 that would typically drive a distribution of
11 efficiency above a new standard level.

12 So I'm curious . . . in this case, you elected
13 not to model a shift scenario, and what was the
14 thinking there?

15 MR. FRANCO: Thank you so much for that
16 clarification. It's actually a mixture of -- this is
17 not reflected in this. It's actually both a rollup
18 and a shift depending on what was considered. One
19 example is -- for example, if we're going for the
20 standard at 90 percent, there is actually a shift to
21 some of the market going instead of just rolling up
22 to 90 percent, some of the market actually going to

1 92 percent. The consideration there and the details
2 are in Chapter 10. The consideration there was that
3 the equipment price differential between 90 and 92 is
4 small enough that consumers -- that some fraction of
5 consumers would elect to go directly to 92.

6 For other potential standards, there's a
7 certain part of the market that because of this
8 improved -- because manufacturers want to have a
9 better/best scenario in terms of the product
10 segmentations, there will be a slightly higher, for
11 example, 98 percent efficiency because that will be
12 the best model that they could potentially offer into
13 the market.

14 So if you look at the TSD, you can
15 actually see, instead of the market share of 98
16 percent in TSL three, four, or five -- three or four,
17 sorry, you would actually, instead of being, pretty
18 much flat around 0 to 1 percent, it actually would
19 grow over time to say 5 percent or even higher
20 depending on what TSL level. The details are in the
21 TSD.

22 MR. deLASKI: Okay. Thank you. I'll

1 look for that. Chapter 10 you said?

2 MR. FRANCO: Yes. Thank you.

3 So I kind of jumped ahead of myself
4 because I did talk about the trial standard levels
5 without discussing how they were developed. So
6 here's the development that DOE considered for -- the
7 criteria that DOE considered for the trial standard
8 levels. DOE considered five trial standard levels,
9 two of them have a regional standard, and three of
10 them have a national standard, TSL three, four, and
11 five.

12 DOE is currently considering TSL three.
13 TSL five has the max-tech efficiency levels. TSL
14 four yields the maximum NPV at 7 percent for which
15 the percentage of LCC winners is higher than the
16 percent of LCC losers. That's the criteria.

17 TSL three is 92 percent AFUE for both
18 non-weatherized and mobile home gas furnaces. And TSL
19 two is a mixture. As I mentioned earlier, 95 percent
20 for the north, and baseline or 80 percent for the
21 rest of the country.

22 TSL one would provide a 90 percent for the

1 north, and 80 percent for the rest of the country.

2 MR. ROSENSTOCK: Steven Rosenstock. I
3 guess a very quick question. Looking over these
4 numbers again, for TSL one, why was it the choice to
5 make different numbers for the north for mobile home
6 versus non-weatherized? Why is the mobile home number
7 higher compared to the other?

8 MR. FRANCO: Thank you so much for that
9 question. That's a great question. I passed over
10 that. The baseline condensing that was considered in
11 terms of the efficiency levels for mobile homes, the
12 baseline was 92 percent since there are currently no
13 models at 90 percent.

14 MR. ROSENSTOCK: There's no models a 91%
15 either?

16 MR. FRANCO: No.

17 MR. ROSENSTOCK: Just 92%, that's the first
18 one? Okay.

19 MR. FRANCO: That's the first one.

20 MR. ROSENSTOCK: Okay.

21 MR. BROOKMAN: Okay. Thank you. Aniruddh?

22 MR. ROY: Aniruddh Roy, Goodman. Just a

1 question on the discount rate. So, the real discount
2 rate used in this analysis is 6.4 percent, whereas in
3 the 2011 direct final rule it was 8 percent. I'm
4 just curious to know what caused that change from the
5 2011 analysis to now.

6 MR. FRANCO: Thank you for that question.
7 We do use different discount rates in our analysis.
8 I'm not sure which one you're referring to, so I'll
9 just clarify first the different discount rates that
10 we use. We do use a discount rate in the LCC
11 analysis which we described in the previous meeting.
12 That's around 4 to 5 percent, and that's used in the
13 consumer model LCC analysis. For the NIA, as long as
14 I can remember, we've been using 3 to 7 percent, two
15 discount rates to kind of give the range, and that
16 hasn't changed for many, many years. So those are
17 the ones that are currently used -- 3 percent and 7
18 percent. The results are presented with those two
19 discount rates. We'll look at those results in a
20 little bit.

21 MR. BROOKMAN: Mark Krebs.

22 MR. KREBS: Mark Krebs. I am familiar

1 with OMB Circular A-4 that you cited, and there's a
2 footnote in that that -- footnote 8 that says
3 Circular A-94 also recommends using other discount
4 rates to show the sensitivity of the estimates to the
5 discount rate assumption.

6 From my understanding of discount rates,
7 it is a number that you use to assume a risk factor
8 in the lifecycle costs. You can't have a different
9 number, you know, for one group than another, or for
10 different years. It has to be one number. And
11 considering that the economy is not rebounding or at
12 least using that assumption that it could naturally
13 get much worse, and, you know, considering all these
14 groups, I would say that using much higher discount
15 rates is appropriate. You know, and I know I talked
16 about this during the last meeting, and I reiterate
17 that the Georgetown University -- George Washington
18 University weighed in with some very good comments by
19 a woman there, Sophie Miller, for the furnace fan
20 rule who ran a lot of different discount rates to
21 look at that furnace fan rule. And it really changed
22 the whole life-cycle savings, you know, in a major

1 way.

2 And so, again, I think that DOE, according
3 to the OMB, is required to look at vastly different
4 scenarios than just three and seven, three and seven,
5 three and seven.

6 MR. BROOKMAN: Thanks, Mark. Aniruddh?

7 MR. ROY: Aniruddh Roy. So, Victor, thank
8 you for pointing that out on the discount rates.
9 Actually just to clarify, this discount rate pertains
10 to the INPV analysis, or maybe Navigant can answer
11 that question whenever we get to that section again.

12 MR. FRANCO: Oh, yes, that relates to the
13 MIA which will be coming up later.

14 MR. ROY: Yes. So just to clarify, it was
15 8 percent in the 2011 rulemaking for the same
16 product, but 6.4 for this analysis. So I'm just
17 curious to understand what caused that change?

18 MR. FRANCO: Thank you, yeah. That will
19 be coming up in a little bit.

20 So, now let's discuss the trial standards
21 for standby mode and off mode. These are the
22 different TSLs that were developed. Essentially, it

1 maps the efficiency levels. These are the power
2 watts for each of them, and DOE is proposing TSL three
3 for the proposed standard.

4 We . . . in the engineering analysis, we went
5 over the technologies and the power for these. So
6 now, let's go over the results. So this shows the
7 national energy savings, the primary energy savings,
8 and the fuel cycle energy savings for both of the
9 prior classes, as well as the total. DOE is currently
10 proposing TSL three. As you can see, the primary
11 energy savings are 2.25 quads for primary, and for the full
12 fuel-cycle energy savings, it's 2.78 quads.

13 Again, the net present value is presented
14 with two different discount rates, one at 3 percent
15 and another at 7 percent. At 3 percent at TSL three,
16 the total NPV is \$16 billion. At 7 percent, the total
17 NPV is \$ 3.1 billion.

18 MR. STANONIK: Frank Stanonik. Just --
19 you don't have to go back to the slide, but on your
20 estimates of national energy savings, does the TSD
21 have information on separating that out by north and
22 the rest of the country?

1 MR. FRANCO: Yes, we do provide as much
2 details as possible. Additional details are in the
3 analysis tools.

4 MR. MOORE: Jim Moore from Laclede Group.
5 You said that in that chart that you've converted
6 source to site -- or site to source, I'm sorry, and
7 I've been going through the NIA spreadsheet, and I'm
8 just not seeing it. Can you tell me what number you
9 used? You know, standard numbers like three on going
10 from site to source. Or did you use some other kind
11 of analysis? Because my analysis isn't jiving with
12 yours, and I actually show CO2 going up, not down.

13 MR. FRANCO: Thank you so much for that
14 question. This is a very important clarification
15 question. The actual total and primary energy
16 savings of full-fuel-cycle are provided in a
17 different tool which is called the NIA plus. Those
18 numbers are available in that spreadsheet.

19 MR. MOORE: That's what I'm looking at
20 right now.

21 MR. FRANCO: Yes, and those numbers vary
22 over time. The primary resource for that is AEO 2014,

1 which calculates those values. I don't exactly know,
2 but at the beginning of the trend, it probably is
3 close to three, but further over time it decreases
4 over time.

5 MR. MOORE: Okay. Thank you for that.
6 And a follow up on EIA's release of AEO 2015
7 tomorrow. Is DOE going to look at that and see if
8 changes are in order?

9 MR. FRANCO: Yes. Thank you for that
10 comment. Definitely are.

11 PARTICIPANT: You will?

12 MR. FRANCO: Yes.

13 MR. MOORE: Thank you.

14 MR. BROOKMAN: Steve?

15 MR. ROSENSTOCK: Steve Rosenstock. For
16 this, you know, EPA is going to be coming out with
17 their final rule, the Clean Power Plan by June or
18 July, which will have a huge impact on the electric side.
19 The Mercury Rule has already had impact. I'll talk
20 about that later, but, you know, that estimated ratio
21 is overstated for electricity significantly. And
22 will DOE do some sort of sensitivity analysis to

1 adjust for the probability of the impacts of the
2 Clean Power Plan?

3 MR. CYMBALSKY: This is John from DOE. So
4 the analysis you see here is based on current laws
5 and regulations. So if that becomes a current law
6 and regulation, we will incorporate it. If it stays
7 a proposed rule, it will not be incorporated.

8 MR. BROOKMAN: Aniruddh?

9 MR. ROY: Just a question on slide 99.
10 The 8.5 watts, that's specific to off mode and
11 standby, right?

12 MR. BROOKMAN: We can just barely hear you
13 down here?

14 MR. ROY: So it's 8.5 watts each, correct?

15 MR. FRANCO: That is correct. That would
16 be the maximum if that becomes a standard. That's
17 standby and off mode.

18 MR. ROY: Okay. Thank you, it came across
19 as just being a combined wattage for both, so I just
20 wanted to clarify that.

21 MR. FRANCO: Oh, thank you. Thank you for
22 that.

1 Oh, yeah, sorry about that. So these are
2 the results for the standby.

3 MR. BROOKMAN: Before you move on, we have
4 some questions or comments from an individual joining
5 us online. The first is from Terry Small who says,
6 Manufactured housing or motor home housing gas
7 furnaces and their markets (new and replacement) is
8 very different from non-weatherized gas furnaces. It
9 does not appear to me you are really analyzing it
10 fairly on its own, rather automatically assuming it
11 is just like NWGF for your analysis ease. And
12 following up, Terry continues, It appears there is not
13 really solid justification for the MHGF to move to 92
14 percent.

15 Okay. Thank you.

16 MR. FRANCO: Thank you for those comments.

17 MR. ROSENSTOCK: Steve Rosenstock, EEI.
18 Again, on the standby and off mode, as I'm looking
19 through the technical support document in the NOPR,
20 you're saying the baseline is 11 watts and the
21 choices are 9.5 and 9.2 and 8.5 watts. And I asked
22 this before and if it was in the TSD, I should have

1 brought that chapter, but what is the range in the
2 baseline? I know you're showing 11 watts, but what's
3 the range of what's out there right now?

4 MR. FRANCO: This would be in Chapter 8
5 which would have the base -- which would have the base-
6 case efficiency distributions, and actually, there's
7 an appendix related to that which would show a little
8 bit of the details. It depends on what type of motor
9 you're using because mobile home gas furnaces are --
10 the furnace fan center does not require going to
11 higher technology such as X13 or ECM. A lot of them
12 already meet the standard, so most of the market is
13 already at that lower level.

14 In terms of non-weatherized gas furnaces, I
15 believe it's about 50/50 that would be at the
16 baseline versus the max --

17 MR. ROSENSTOCK: 60/40 is what -- Steven
18 Rosenstock. I'm showing about 60/40, and I guess, you
19 know, when you're getting down to .3 watts for some
20 of these or .5 watts, it's like, you know, the
21 variations in technologies, you know, there could be
22 a technology that meets level one that is below

1 what's in level two. And so you're not really saving
2 any energy. And, again, the reason I was asking
3 about the range was within each product category, if
4 the ranges are overlapping, are you always assuming
5 electricity savings even though they might overlap,
6 the technology choices overlap?

7 MR. FRANCO: So if the technology, for
8 example, is already below, it's higher than the max
9 step, there's no savings. So it's not impacted. If
10 there is potential savings regarding, for example,
11 from a baseline to higher efficiency, there would be
12 savings.

13 MR. ROSENSTOCK: Well, I guess if there's
14 a technology, let's say for a TSL one which you show,
15 you know, in slide 99, you know, the max is 9.5
16 watts, but what if the better ones out there are
17 actually at 9.0 watts, or 8.7 watts which are
18 actually below TSL two, how are you accounting for
19 that in the analysis?

20 MR. FRANCO: We account for the base-case
21 efficiency distribution. We came up with those
22 distributions based on a limited set of data that we

1 had in terms of models. We would request
2 manufacturers, if they have a better set of data, to
3 come up with those estimates.

4 MR. CYMBALSKY: The short answer is, the
5 same way we do it with the AFUE. So we know that a
6 percentage of the market is already there, similar in
7 standby. So, again, if they're already beyond what
8 the numbers indicate here, they don't -- you don't
9 see savings.

10 MR. FRANCO: Thanks, John.

11 So the next couple of slides are the same
12 results in terms of national energy savings and NPV
13 for standby mode and off mode. DOE is currently
14 proposing TSL three. The total energy savings for
15 primary is .26 quads, for full fuel-cycle is .77 quads.

16 In terms of net present value, TSL three
17 would yield at a 3-percent discount rate, \$3.3 billion
18 and \$1 billion at a 7-percent discount rate.

19 MR. ROSENSTOCK: Over the 30-year period,
20 correct?

21 MR. FRANCO: Over the 30-year period.

22 MR. ROSENSTOCK: Steve Rosenstock, EEI.

1 MR. BROOKMAN: Thank you.

2 MR. FRANCO: So moving on to the
3 regulatory impact analysis. DOE investigated
4 national impacts of regulatory alternatives to
5 mandatory amended energy conservation standards.
6 This is available in Chapter 17 of the TSD. To
7 conduct . . . that is, the method is using a modified
8 version of the NIA spreadsheet to evaluate different
9 non-regulatory alternatives including
10 no new regulatory action, consumer
11 rebates, consumer tax credits, manufacturer tax
12 credits, voluntary energy efficiency targets, and
13 government purchases. DOE identified 155 programs
14 from 65 organizations offering rebates ranging from
15 \$50 to \$800 to purchase condensing furnaces.

16 No alternative was found to be as beneficial
17 as the proposed energy conservation standards.
18 Again, further details are provided in Chapter 17, as
19 well as the results.

20 DOE requests comments on the
21 reasonableness of the value that DOE used to
22 characterize the rebound effect with

1 higher-efficiency non-weatherized gas furnaces and
2 mobile home gas furnaces. DOE currently uses a 15
3 percent rebound.

4 MR. BROOKMAN: Andrew deLaski.

5 MR. deLASKI: So I'll reiterate the
6 comments I made at the last public meeting, which is
7 we think this number is too high. The TSD and the
8 NOPR paper by Steve Nadel suggest that the range is
9 -- that 15 percent is the very high end of the range
10 and that the range, based on our examination of the
11 literature, is 1 to 15 percent and that you've
12 developed a very conservative estimate of this energy
13 savings because you've used probably the outer limit
14 of the rebound. And I'll refer you back to that
15 paper.

16 MR. BROOKMAN: Okay. Thank you.

17 MR. FRANCO: Thank you.

18 That actually concludes that section, the
19 NIA.

20 And if there are any comments regarding
21 the shipment --

22 MR. STANONIK: Frank Stanonik, AHRI. I'm

1 back on slide 104. So you identified in the analysis
2 several different, let's say, non-regulatory
3 alternatives were identified. I'm trying to figure
4 what the right question is here. How did you factor
5 in these alternatives into the -- okay, so the
6 concept is that the analysis is supposed to look at
7 the effect of the standard, so the baseline versus
8 the market driven by the standard. So how did you
9 factor in these alternatives into your future
10 shipment projections? As an example, how would you
11 factor in -- okay, I mean, 155 programs -- let's take
12 the discussion, let's say there are currently 30
13 active utility programs pushing incentives for high
14 efficiency products. How does that get factored into
15 the future shipments?

16 MR. FRANCO: That's a good question. In
17 Chapter 17, the details will be provided there. You
18 can actually see the different market penetrations
19 that would be applied. So, for example, let's say
20 that we currently assume that the base case is 40
21 percent, going to condensing. Some of these might
22 increase it by a few percentage points and that would

1 be the impact of that program.

2 MR. CYMBALSKY: Well, the short answer is,
3 it's in the baseline market efficiencies that we
4 presented earlier. So we know that in all, as it states
5 here, there's 155 programs that are actually rebating
6 consumers. So the fact that 60 percent of the market
7 is already at condensing reflects the fact that these
8 programs are in fact helping to achieve that 60
9 percent. And so what the RIA does is it looks at
10 side scenarios for the rest of these types of things
11 and evaluates what the energy savings would be and
12 compares them to our standards case.

13 MR. BROOKMAN: Mark Bays, there's a
14 question. The question is, why so much weight is
15 being given to 90 percent furnaces compared to 90
16 percent? Pardon me, 92 percent. And he continues,
17 are these based on existing furnaces because the
18 electrical requirements will require a 95-percent
19 efficient furnace to meet?

20 MR. CYMBALSKY: So this is John from DOE.
21 I think the question seems to either have been
22 transcribed incorrectly or I'm not understanding.

1 But actually, there's not a lot of weight given to the
2 90-percent furnace because as our market share data
3 indicated, the market has moved beyond -- if it's
4 going to go condensing, it goes higher than 90%, and
5 we've seen that in the market data. So actually, 92%
6 and 95% get higher market shares than 90%, and I don't
7 understand the other question about the electrical
8 requirements.

9 MR. BROOKMAN: Okay.

10 Yes, Steve Rosenstock?

11 MR. ROSENSTOCK: Question real quick. You
12 know, going back to that blip slide, it showed that
13 condensing furnaces, you know, went up from like 40
14 to 60 percent primarily as a result of the tax
15 credits during the stimulus, as a result of the
16 stimulus bill. It's at slide 69. It took a huge bump
17 up. There it is, right there. Both, you know, in the
18 north and especially nationally, you see the huge
19 run up, and the tax rate was very generous at that
20 time. So for the RIA, again, I don't have it right
21 in front of me, what kind of tax credit was
22 considered in terms of that for that analysis? Was

1 it as generous as during the stimulus bill, or was it
2 a lot less?

3 MR. FRANCO: Thank you for that question.
4 It was actually a lot less. But the details are -- I
5 don't know the exact numbers, the details are in
6 Chapter 17.

7 MR. ROSENSTOCK: Again, Steve Rosenstock.
8 Thank you. Again, because we have this history here
9 of a generous tax credit, why wasn't that part of the
10 analysis?

11 MR. FRANCO: The analysis considers the
12 current kind of scenario of tax credits that are available.
13 The tax credit I think you are referring to are
14 the Federal tax credits?

15 MR. ROSENSTOCK: Yes.

16 MR. FRANCO: These are mainly utility
17 programs.

18 MR. ROSENSTOCK: Okay.

19 MR. FRANCO: This is the range between \$50
20 and \$800.

21 MR. ROSENSTOCK: Okay. But, again, I
22 guess there's a current Federal tax credit that

1 expires -- I'll say \$200 Federal tax credit, but
2 during the stimulus years, it was 1,000 or whatever,
3 and it shows a significant market response to that
4 tax credit as result of that. To not consider
5 it, seems, again, partially incomplete.

6 MR. BROOKMAN: Yes, Charlie.

7 MR. KREBS: Got a quick one, go ahead.

8 Mark Krebs. Going back to that same slide
9 that Steve was just talking about --

10 MR. BROOKMAN: The famous blip slide.

11 MR. KREBS: Yeah. Yeah. There you are.
12 You know, you look up to about, oh, what is it, 2008
13 when President Obama went into office. Then you look
14 for the next few years, and, you know, the slope
15 changed, but really not totally. It wasn't night and
16 day. The slope increased; it got steeper, but not
17 that much steeper than it was from 2000 to 2008. So,
18 again, the reason I bring this up is just let's get
19 the raw data from AHRI, which as Frank said is forthcoming,
20 and then we can debate this in depth if there's -- of
21 course, there won't be any more meetings, so it's
22 kind of a moot point.

1 The other point I'd like to make real
2 quick is just another issue about discount rates.
3 You know, what do you think 7 and 5 percent
4 represent? Then I'll tell you what I think they
5 represent. Do they represent average American --
6 what is it?

7 MR. CYMBALSKY: You mean 7 and 3 percent?

8 MR. KREBS: Seven and 3.

9 MR. CYMBALSKY: The OMB? These are social
10 discount rates. So societal. But I think people are
11 confusing what is known as hurdle rates versus
12 discount rates.

13 MR. KREBS: No. No. That's not where I'm
14 coming from. What part of society does 3 and 7
15 represent? The homeowners or something broader?

16 MR. CYMBALSKY: I think, you know, if we
17 read the OMB Circular, we could read what they espouse
18 about what those mean.

19 MR. KREBS: Well, it just so happens that
20 I just did that.

21 MR. CYMBALSKY: Then you can read it for
22 the group.

1 MR. KREBS: I'm not going to read the
2 whole thing. It just goes back to that footnote 8
3 and that the Circular goes -- says that the DFR was
4 based on 1992 numbers for corporate capital. You
5 know, that was a long time ago, and we're not talking
6 corporate capital here. We're talking average American
7 consumers.

8 MR. BROOKMAN: Mark, what are you
9 suggesting it should be?

10 MR. KREBS: You should run a robust range
11 of discount rates. You know, and then we could pay a
12 little more attention to what it really should be for
13 this long period of time on the average for all
14 consumers. You know, I would say 10% is probably
15 still too low. It depends. You know, it really
16 depends on the type of consumer. If you're up
17 against the wall consumer, teetering on the edge of
18 going on welfare, you know, it's infinitely higher.
19 You know, it could be 100 percent.

20 MR. BROOKMAN: Jim Vershaw has a question
21 which is, from joining us online, For RIA, does DOE
22 include all other ongoing regulatory actions like

1 commercial furnaces, commercial rooftops, standby
2 power on AC/HP's commercial fan and blowers as all
3 affect most OEMs or a subset of those?

4 MR. CYMBALSKY: This is John from DOE. So
5 that's more of an MIA question that --

6 MR. BROOKMAN: Which we're about to get to
7 shortly.

8 MR. CYMBALSKY: That's our chief engineer
9 fixing the light.

10 (Laughter.)

11 MR. BROOKMAN: Okay. We're going to move
12 on.

13 Yes, Charlie, before we do.

14 MR. McCRUDDEN: So this is Charlie with
15 ACCA. So back to slide 104 and the regulatory impact
16 analysis. You looked at the consumer rebates and
17 utility programs, and I think I'm guessing most of
18 those utility programs are incenting the homeowner to
19 go to a condensing furnace. So when we go to a
20 condensing furnace, what happens to -- have you
21 looked at what happens to those incentives, and then
22 would they still essentially be effective? Or if

1 they're not effective, then what impact does that
2 have on that sort of 2021 to 2050 regulatory
3 analysis?

4 MR. FRANCO: Just to clarify that
5 question, you mean after if it's kind of linear or if
6 it decreases over time?

7 MR. CYMBALSKY: Let me take a stab at it.
8 This is John from DOE. So I think what we do, and
9 Victor will throw something at me if I'm wrong, you
10 know, when we get to 2021, to keep that share of
11 condensing market share that we see, we're saying
12 that these programs still exist when we get to 2021.
13 What happens after that clearly, we've seen it in
14 other products like lighting, for example, when the
15 Federal standard came in, the CFL compact fluorescent
16 lamp rebates that were very widespread went away.
17 What will happen here is that our standard that we're
18 proposing keeps the good, better, best scenario for both
19 manufacturers and people -- programs who would like to keep
20 their rebate programs in place. They will just be rebating
21 at the 98% maybe instead of the 90% or 92% where they
22 may be doing it today.

1 MR. McCRUDDEN: Okay. I guess the
2 assumption is the rebates will remain. In your sort
3 of nonregulatory action --

4 MR. CYMBALSKY: To maintain that level of
5 condensing.

6 MR. McCRUDDEN: Okay.

7 MR. BROOKMAN: Yes, Steve Rosenstock?

8 MR. ROSENSTOCK: Steve Rosenstock, Edison
9 Electric Institute. I'll just take on speaking as
10 somebody who's worked on a lot of DSN programs.
11 Whenever Federal standards have gone up, utility level
12 incentives change, and if they go up significantly, because
13 the delta has gone down between the baseline and the
14 higher-efficiency product, the incentives go down, and
15 they can go down significantly because there's less
16 energy to save. Therefore, that energy savings is
17 less. It's worth less to the utility to save that
18 small increment of energy.

19 MR. CYMBALSKY: This is John from DOE. So
20 the utility -- since the States still have their
21 standards in place for a lot of these regulated
22 utilities, what they will often do is look for

1 opportunities to get a similar bang for the buck.
2 Like, for example, they've switched from lighting to
3 maybe air conditioning because now the rebate dollars
4 that they were given for lighting, they're not
5 getting that anymore. The standards actually took
6 that opportunity away from them. But they still have
7 requirements. Certain States have requirements to
8 meet certain efficiency levels, and they have the
9 dollars to spend to get to those levels, so they will
10 explore new opportunities.

11 MR. BROOKMAN: We're about to move on to the
12 manufacturing impact analysis. Before we do, Neal
13 Leslie has a comment. Neal, let's try it again.

14 MR. LESLIE: Sorry I wasn't on before.
15 Can you hear me now?

16 MR. BROOKMAN: You sound good.

17 MR. LESLIE: And my apologies for not
18 being on when you called on me the first time. I was
19 unavailable. Anyway, my question has to do with
20 slide 80. Okay. So if slide 80 -- shows that the
21 average LCC savings jumped from \$238 without fuel
22 switching up to \$305 with fuel switching, which is

1 approximately 20 percent of the rule benefit accruing
2 due to fuel switching, my first question is, is that
3 statement a correct statement that I made?

4 MR. CYMBALSKY: That is correct, they are
5 higher LCC savings. Yeah.

6 MR. LESLIE: So then the next thing,
7 assuming that's true, is that I want to make sure I
8 understand this as well, carefully, and that is, if we
9 were to deal with what I'll call rational technology
10 switching to the 92 percent premise, it's my
11 understanding from your earlier discussion that those
12 folks are deemed to be not affected by this
13 rulemaking because that would have been considered as
14 part of the shipment data. Am I interpreting that
15 correctly?

16 MR. CYMBALSKY: In the baseline, there's a
17 natural level of switching that occurs without any
18 standard in place. Those are the unaffected -- those
19 are not part of the table that you're reading here.

20 MR. LESLIE: Okay. And I guess we --
21 still an issue for me on that particular one -- I
22 want to make very sure I'm correct on that -- that I'm

1 not far off in the corner here and that is that those
2 folks who would have, without the rule, gone ahead
3 and put in a 92-percent furnace anyway are not in the
4 affected class --

5 MR. CYMBALSKY: That's correct. Correct,
6 they're not affected.

7 MR. LESLIE: So, I'm sorry, I call those
8 rational technology switches, that's what I'm
9 categorizing them as. The other one that has given
10 me pause was the statement about what I would call
11 rational fuel switching and that is fuel switching
12 that is done to avoid the higher costs of a gas
13 furnace option and a fuel switch to, say, an electric
14 heat pump. What I would deem to be another part of
15 what a reasonable consumer would do absent the rule
16 and that is to make a fuel choice away from natural
17 gas technology toward electric technology absent the
18 rule. And what I heard this morning was that, at
19 least some of those are considered effective to avoid
20 the high cost of a furnace -- I'm not sure I have
21 that correctly.

22 MR. CYMBALSKY: The baseline shipments

1 reflect those people, so they're not part of this at
2 all. They're choosing electricity. They're choosing
3 electric in the baseline, so they're not part of this
4 at all.

5 MR. LESLIE: Okay. So anything in which
6 there would have been a really strong benefit to fuel
7 switching to avoid that high cost is considered to be
8 not affected?

9 MR. CYMBALSKY: Right. Because they're
10 doing it now, and they'll continue to do that, if that
11 in fact is true what you said. It's already
12 reflected in the shipments.

13 MR. LESLIE: So then my question is, given
14 that, how could there be positive benefits to fuel
15 switching caused by the rule?

16 MR. CYMBALSKY: Because the people who --
17 (Simultaneous conversation.)

18 MR. LESLIE: A lot of people that would
19 rationally fuel switch and a lot of those potential
20 benefits that are not affected -- that's my --

21 MR. CYMBALSKY: So I guess we'll step back
22 to let you consider these rational people who are

1 right now, currently today, how many people are
2 replacing their gas furnaces with some other form of
3 fuel in their house? What would you suggest that
4 percentage is?

5 MR. LESLIE: I'd have to go back and lean
6 on the fuel switching survey information that was
7 provided in 2014 to get a number. I do not have it
8 off the top of my head.

9 MR. CYMBALSKY: I would suggest that
10 number is single digits if that at all frankly. So
11 you're saying someone who . . . Let's say a household
12 comes in, and they have, let's say, a 78%-AFUE furnace. It
13 breaks tomorrow. Their choices are an 80%, a 90%, 92%,
14 95%, 98%. You're saying nationwide there's a large
15 subset of people who will replace that gas furnace
16 with some other form of fuel?

17 MR. LESLIE: So that is ultimately the
18 question.

19 MR. CYMBALSKY: And I think if you look at
20 the shipment data --

21 (Simultaneous conversation.)

22 MR. CYMBALSKY: Right. So we can look at

1 the shipment data and figure, you know, make some
2 rules of thumb, but frankly that number is very, very
3 small. Again, and people have mentioned it here
4 today, the price of natural gas today is a how low
5 can you go, kind of thing. But, we don't see a large
6 level of shipments of switching. So if you have
7 data, and, again, I pointed to that now 15-year-old
8 AGA study that I remember seeing that talked about
9 fuel switching. It was very helpful to look at.
10 Switching away from gas to a different fuel currently,
11 I don't think, is a big number. If you have
12 information to say that it is, we'd love to have it.

13 And then my next point is, so we think the
14 shipments reflect that. And what the table that you
15 pointed to is showing, and the reason LCC gets positive
16 is that those people who get into the situation where the
17 venting costs are very high, if they switch to the
18 electric, they do not lose -- you know, they are
19 definitely cutting down whatever loss that may have
20 been there with the high venting costs. So that's
21 why you get that difference.

22 MR. LESLIE: I guess the only issue is

1 whether those people should be considered affected or
2 not affected, and we'll just leave that for comments.
3 I just wanted to make sure I understood the
4 underlying logic and rationale for a positive LCC
5 benefit associated with fuel switching.

6 MR. CYMBALSKY: Right.

7 MR. LESLIE: That's pretty much -- what we
8 saw from the fuel switching survey that was done in
9 the 2014 timeframe was that those respondents did not
10 expect that to be a beneficial fuel switch. They
11 expected that to be a fuel switch that was driven not
12 in the consumer's best interest according to those
13 that were surveyed.

14 From my perspective, it's probably as good
15 as we have right now on the topic to determine
16 whether or not you have a distinction between what
17 people would do absent the rule and what people would
18 do with the rule.

19 MR. CYMBALSKY: And so it's important what
20 you said. So on your survey, you said that it was not
21 in the consumers' best interest to switch. So if
22 they're going to be worse off financially, why would

1 they switch? What is driving that switch then?

2 MR. LESLIE: There is a behavioral
3 economics question in play here that I don't know that
4 we want to get into here in the discussion today, but
5 it essentially -- the behavioral economics theory
6 allows that consumers make choices based on more than
7 just their economic wellbeing.

8 The cost of becoming better off comes into
9 play as well in their mind. You know, there are time
10 costs. There are other perceived costs within
11 behavior economics that drive consumers to behave in
12 a certain way, and that is what the fuel switching
13 survey information was intended to define. It is a
14 very challenging issue to deal with, but it does not
15 suggest that the end result of fuel switching was a
16 positive thing. I'm not sure how far we want to go
17 with this.

18 MR. BROOKMAN: Okay. Thank you for that.
19 Steve Rosenstock?

20 MR. ROSENSTOCK: Steve Rosenstock, Edison
21 Electric Institute. And with all due respect, part
22 of the reason that there's going to be positive

1 economic impact is number one, the installation costs
2 or the equipment costs might be lower when they make
3 that choice depending on their situation, depending
4 on the contractor. Number two, it all really depends
5 on the local rates, local gas rates versus the local
6 electric rate. Typically electric rates are lower in
7 the wintertime than the summertime. And if they're
8 on a time use rate, you know, they're lower at night
9 than during the day typically. So, therefore, the cost
10 of heating during the coldest time period is going to
11 be lower. And, again, and the technical support
12 document just shows basically State by State all the
13 different prices they were using to run the scenario.
14 And third, you know, the heat pump technology has 8.2
15 HSPF or higher. If they were going not 8.5, 9 HSPF,
16 very high efficiency technologies, then that's also
17 lowering their costs of heating.

18 Thank you.

19 MR. BROOKMAN: Rick, do you have a comment
20 here?

21 Okay. Yes, Kathryn?

22 MS. CLAY: Yes, I fear I'm missing

1 something, so I appreciate the opportunity to
2 clarify. So if I understand correctly the
3 discussion, a consumer who say has a non-condensing
4 furnace today and then is able to fuel switch and so,
5 therefore, can avoid the extra costs of reventing, et
6 cetera, that they would otherwise have to pay by
7 going to a condensing furnace. But that's counted as
8 a benefit -- that their ability to avoid those venting
9 costs is counted as a benefit. And what troubles me
10 is, that is entirely a cost imposed by the rules. So
11 I don't understand how avoiding a cost that is
12 imposed by the rule can possibly be construed as a
13 benefit?

14 MR. CYMBALSKY: So there's costs, but it's
15 relative to what their other option is. So it's a
16 lesser cost to switch the fuel than to do the
17 venting, et cetera. So let's say the 80% furnace breaks, and
18 I
19 have to get a 95% furnace, and I have a difficult venting
20 situation, and it's going to cost \$7,000. Or I can do
21 the heat pump, and it's only going to cost \$5,000.
22 There're still costs, but it's \$2,000 less costs in

1 scenario B.

2 MS. CLAY: But that choice scenario is
3 entirely caused by the rule. If it were not for the
4 -- so the proper way to evaluate whether the consumer
5 is better off or worse off is, what choices could
6 they have made if not for the rule? And if it would
7 be more economical to replace their furnace with a
8 non-condensing furnace, that's the -- that's the
9 number you should be comparing to, not the avoided
10 costs because they didn't purchase a condensing.

11 MR. deLASKI: What if non-condensing is
12 not available because the standard has made it not
13 available?

14 MS. CLAY: But that's what I'm saying.
15 We're counting a benefit here, but it's a circle.
16 We're saying that because the rule is making it
17 expensive for that person to replace -- making it
18 expensive because they've got to replace a
19 non-condensing with condensing. If they can fuel
20 switch and not pay that higher cost that's been
21 forced on them by the rule, it does -- you can't
22 count that as a credit. You can't say, well, I

1 jacked the prices up, but then I gave you a discount,
2 so you ended up with a net benefit.

3 MR. deLASKI: The question is, what this
4 is, is an electrical cost analysis. Right. So the
5 question is, is the electrical cost lower than it
6 would have been in the base case?

7 MS. CLAY: No, that's right.

8 MR. deLASKI: That's what this analysis is
9 evaluating.

10 MS. CLAY: It's what it should be
11 evaluating, but I think I heard that's not what it's
12 evaluating. It should be comparing the cost of that
13 consumer who replaced their condensing with a
14 non-condensing furnace to that consumer who then went
15 to an electric heat pump or other choice and then had
16 higher energy costs associated with that.

17 MR. BROOKMAN: John.

18 MR. CYMBALSKY: That's exactly what we do.
19 So the base case is without the standard, and
20 everything here is the cost differential relative to
21 what you just described.

22 MS. CLAY: So, again, I think I must have

1 misunderstood because I thought that I heard that you
2 were counting the benefits a consumer would receive,
3 quote/unquote benefits of avoiding the costs of
4 reventing.

5 MR. CYMBALSKY: It is cheaper in that
6 scenario, and so, yes, there's less cost.

7 MS. CLAY: But you shouldn't be comparing
8 it to the scenario that is artificially constructed
9 by the rule. It should be what the consumer actually
10 does versus what they would have done in absence of
11 the rule.

12 MS. ARMSTRONG: This is Ashley from DOE.
13 So that's the difference between the with switching
14 and without switching scenarios, right? Because you
15 will see a higher estimated impact for if they had to
16 do these really hard installations with high cost of
17 the venting versus if you compare the delta between
18 those two, is what are you seeing it get cheaper for
19 the consumer. Both are compared to the base case,
20 the base case of them buying a new non-condensing
21 furnace. So we're doing exactly what you said. We've
22 done multiple scenarios though, one that takes into

1 account all these different venting situations and
2 one that takes into account all these different
3 venting situations as well as the fuel switching.

4 MS. CLAY: Again, I think I have to try to
5 understand -- the way it's being presented, it sounds
6 very illogical. It sounds like the argument is,
7 because this could have imposed greater harm, we're
8 going to count that as the lack of greater harm as a
9 benefit which just defies logic.

10 MR. FRANCO: Hi, this is Victor Franco. I
11 just wanted to point out a number that might clarify
12 a little bit your questions. So, you see, the
13 percentage or fraction of people impacted, it doesn't
14 actually vary between the two scenarios. So people
15 are still impacted. As John and Ashley have pointed
16 out, they're impacted less compared to again
17 purchasing that 80 percent AFUE, if the standard
18 wasn't a higher efficiency. It's always compared to
19 them choosing being able to do what they can do in the base
20 case -- installing an 80 percent --

21 MR. BROOKMAN: Ashley.

22 MS. ARMSTRONG: So there is a cost. It's

1 not just calculating benefits without the cost.
2 There is a cost. But what we're saying is, that cost
3 is different if you consider fuel switching versus if
4 you don't.

5 MR. BROOKMAN: Mark Krebs. I want to move
6 on to MIA pretty quick here.

7 MR. KREBS: I'll make it quick. Actually,
8 not that I understand where these numbers come from,
9 but I am seeing, you know, an obvious economic
10 benefit from switching in these numbers on the chart.
11 And that might explain questions that we have had of
12 DOE going back to the preliminary spreadsheets, you
13 know, when I think it was a question 1A that had this
14 complicated table that compared 2011 determinations
15 with the present determinations. And, you know, so
16 like in the case of a 90-percent furnace, national
17 all installations average life-cycle savings went
18 from \$87 to \$236. So maybe, and there it is \$236. I
19 don't know, it may be totally coincidental, but, you
20 know, this just underscores some basic questions that
21 we've been trying to get addressed and answered
22 clearly so we understand, and we're still quite a ways

1 from that obviously.

2 But I did go to the trouble of updating
3 the numbers from the preliminary spreadsheet values
4 to the ones that are the most recent ones, and I
5 brought copies to hand out. I'm going to hand them
6 out at this time.

7 MR. BROOKMAN: Okay.

8 MR. KREBS: And if I can get it posted on
9 regulation.gov. . . If you'd pass them down that way,
10 please.

11 MR. BROOKMAN: And, Mark, will you state
12 what these are?

13 MR. KREBS: These compare the average
14 life-cycle savings and various scenarios from the 2011
15 DFR to the present 2015 numbers that were put on the
16 spread -- put in the spreadsheets on regulations.gov
17 this year. So, we see in the case of a 90-percent
18 furnace in 2011 an \$87 savings and the same furnace
19 in 2015 a \$236 savings, a change of 171 percent that
20 we'd like to understand how that happened.

21 MR. BROOKMAN: Okay. We're going to move
22 on now to manufacturer impact analysis.

1 And we're going to hear from Chris Lau.

2 MR. LAU: Thank you, Doug.

3 My name is Christopher Lau, I'm with
4 Navigant. I'll be presenting the manufacturer impact
5 analysis today.

6 The prime purpose of the MIA is to assess
7 the impact of amended standards on furnace
8 manufacturers as an industry. The second purpose is
9 to identify and qualify impacts on manufacturer
10 subgroups such as small business manufacturers, and
11 the final portion of the MIA involves the discussion
12 of direct employment, potential capacity constraints,
13 and other Federal regulations that go into effect
14 around the compliance date of this rule.

15 In terms of methodology, the primary tool
16 used is the government regulatory impact model, also
17 known as the GRIM. It's a cash-flow model used to
18 represent the industry as a whole. The major output
19 of the model is the industry net present value or
20 INPV, a metric used to quantify impacts of the
21 standard on manufacturers.

22 We also conduct interviews to validate and

1 refine inputs to the GRIM and to better understand
2 qualitative issues. In general, we do our analysis
3 in three phases. In phase one, we build an industry
4 profile from publicly-available information including
5 Census data, SEC filings, manufacturer websites, and
6 product listings data.

7 In phase two, we use public data and inputs
8 from the engineering and shipments analyses to outline
9 the industry in the GRIM. And in phase three, key
10 inputs are validated with manufacturers and
11 qualitative issues are discussed in interviews. We
12 use this content to refine the GRIM.

13 I'll take a moment here to pause to
14 address an earlier question from Goodman about the
15 cost of capital. The discount rate used in the GRIM
16 is based off of SEC filing data, and so in the 2011
17 DFR, the data would have been based off of probably
18 data from roughly 2003 to 2008, whereas the data in
19 this rulemaking would have been based off of data
20 from 2007 to 2013.

21 That SEC filing -- from the SEC filing
22 data, we estimate a discount rate of roughly 7 percent

1 which is, you know, cost of capital from
2 manufacturers. And then through manufacturer
3 interviews, we revise that estimate downward to the
4 -- I think we said it was 6.4 percent in the model
5 today.

6 In interviews, you know, we heard several
7 common concerns raised across manufacturers. The key
8 issues raised -- we identified four key issues raised
9 by the industry. There was broad concern about
10 installation costs in the replacement market which
11 we've discussed at length, but in general,
12 manufacturers want to be sure that DOE properly
13 captured the potential range of installation costs in the
14 replacement market. There was concern about product
15 switching which we've just had a long discussion on.
16 I will not rehash this right now.

17 There's concern about regional standards
18 and enforcement of such, but that is not being
19 proposed today. And there's concern about reduced
20 product differentiation which we'll address through
21 markups, as I'll describe shortly.

22 These are some of the qualitative issues

1 raised. There's also extensive quantitative feedback
2 which would have been incorporated into the GRIM.

3 Let me talk about that model a little bit.

4 To model the industry, we rely on contact from
5 several analyses we've already discussed today. That
6 includes financial and product data from the MTA
7 market/technology assessment, manufactured production
8 costs from the engineering analysis, and shipments
9 forecasts from the shipments analysis. These inputs
10 are essentially locked-in before we run our model. To
11 complete the model, we supplement manufacturer markups
12 and conversion costs. For this rule, the Department
13 modeled three different markup scenarios, and here
14 they are.

15 The preservation of gross margin
16 percentage markup scenario. Under this scenario,
17 manufacturers maintain the same gross margin
18 percentage before and after the standard goes into
19 effect. This implies that the manufacturers pass
20 through all cost compliance to their customers.

21 The preservation of operating profit
22 scenario. In this scenario, manufacturers are only

1 able to maintain the same per-unit operating profit
2 in absolute dollars after the standard goes into
3 effect. This means the markup decreases after MPCs
4 increase. In this scenario, manufacturers are not
5 able to pass on all costs of compliance as the level
6 of investments increase with the various trial
7 standard levels.

8 The final markup strategy model was called
9 the three tier. DOE models a good, better, best
10 markup. As the standard level increases, we see less
11 differentiation in the markets. Manufacturers are
12 not able to maintain the same premium markups. As a
13 result, premium markups erode with higher standards,
14 and we see a drop in industry profitability.

15 When we run these three options, what we
16 found was that the best case scenario or the upper
17 bound is the first one, the gross margin scenario.
18 And the lower bound is the three-tier market where we
19 see this compression and loss of premium markups for
20 the industry.

21 Here, we see the results. It's a fairly
22 dense table. I suppose I could walk through it.

1 Here in the second row, what you see is the industry
2 net present value both for the base case and for the
3 five trial standard levels considered. For the
4 standards case, you will see there's a range of
5 values. That range is due to the markup scenarios.
6 At the lower end, the smaller number is the INPV based
7 on the three-tier. At the upper end, the higher
8 number is the INPV based on the preservation of gross
9 margin percentage scenario.

10 And the third row, you will see the
11 percent change in INPV relative to the base-case
12 value of roughly \$1 billion. Also germane to the
13 change in INPV are the change in conversion costs,
14 both the R&D expenses, as well as the capital
15 expenditures, and here are the total conversion costs
16 required.

17 The total conversion costs come out to
18 roughly \$5 million per manufacturer. This was based
19 on a top-down model where we took the feedback directly
20 from manufacturer interviews. However, you know, I
21 think this is probably the first time folks have seen
22 both the industry value and that rough average of

1 \$5 million per manufacturer. We would love to hear
2 some feedback on whether that's appropriate.

3 MR. BROOKMAN: Frank Stanonik.

4 MR. STANONIK: Well, I've got a different
5 question.

6 MR. BROOKMAN: Let's see if anybody -- this
7 is just a comment on the question, manufacturers
8 particularly reflecting on the figures that are up
9 here that Chris was just describing.

10 MR. LAU: And understanding that exact
11 figures may be hard to provide, I imagine
12 manufacturers look to their own operations to provide
13 a high/low, or at least a qualitative indicator.

14 MR. BROOKMAN: Yes, Aniruddh.

15 MR. ROY: Aniruddh Roy, Goodman. So this
16 is based on the interviews also?

17 MR. LAU: That is correct.

18 MR. BROOKMAN: Yes, please, Everett. Get
19 close to that microphone.

20 MR. SHOREY: Hi, this is Everett Shorey.
21 So in the GRIM analysis that you've done, you're
22 looking only at the furnace regulations?

1 MR. LAU: That is correct.

2 MR. SHOREY: So how do you handle the fact
3 that manufacturers have had to redesign their
4 furnaces for the furnace fan regulations and now have
5 to redesign them again for the furnace regulation?

6 MR. LAU: Sure. So the analysis focuses
7 on the impacts of this rule and not combined rules.
8 However, there are two things I would like to point out.
9 One, is in the years preceding 2019 which is the
10 effective date of the furnace fan rule, we have a
11 different MPC, a lower manufacturer production cost,
12 and then the manufacturer production costs increase
13 when the standard goes into effect. However, if you
14 wanted to look at the combined impacts of the two
15 rules, it would be possible to look at the drop in
16 INPV on the furnace rule which was, and I can --
17 which was roughly \$60 million and add that to the
18 drop in INPV of this rule. So if we're proposing TSL
19 three, it's roughly a drop of \$80 million.

20 MR. SHOREY: Well, actually that's not
21 technically correct because the drop in INPV for the
22 furnace fan rule is based on the assumption that the

1 life of that rule of that change is essentially
2 indefinite. And by turning the furnace fan rule into
3 a rule that only lasts for about three years, you
4 would have changed substantially the INPV in the
5 furnace fan regulation so that you don't really have
6 a question of looking back.

7 I will say that the person who first wrote
8 the GRIM made an assumption that a regulation would
9 last essentially forever because the next round would
10 occur at a natural cycle. And that may have been
11 short-sighted by the person who did that. People are
12 laughing. The person who did that was actually me.
13 (Laughter.)

14 MR. SHOREY: So the question is --

15 MR. LAU: To defend that person, it can be
16 hard to forecast regulatory cycles.

17 MR. SHOREY: Oh, I'm well aware, but
18 what's happened is that there's no particular way of
19 looking back. Now to say what's the -- there's no
20 really good way of recapturing the fact that people
21 have made an investment and are now making an
22 incremental investment that was not -- that didn't

1 particularly affect the furnace rulemaking but has
2 changed substantially the economics of the furnace
3 fan rulemaking. And we may get to the same thing as
4 we go forward with the air conditioning rulemaking
5 which may again change the indoor unit. So we may
6 need to rethink that set of assumptions.

7 MR. BROOKMAN: Okay. Thank you.

8 MR. LAU: It's an interesting intro to the
9 next slide, but I think there may be another comment
10 or two out there.

11 MR. BROOKMAN: Yeah, let's go to John
12 first.

13 MR. HURST: Yeah, John Hurst, with Lennox.
14 Just a question. On the three scenarios, do you know
15 what the blended markup would be for each scenario?

16 MR. LAU: Sure. So in the preservation of
17 gross margin scenario, the flat markup was roughly --
18 it was 1.34 for non-weatherized gas furnaces and 1.27
19 for manufactured home furnaces.

20 In the preservation operating profit
21 scenario, give me one moment.

22 MR. HURST: Sure.

1 MR. LAU: Yeah, I'll solve it over break.
2 So for the three-tier, the good, better, best for
3 non-weatherized gas furnaces was 1.29, 1.37, and 1.45.

4 MR. HURST: Yeah, just to comment. You
5 know, you look at one of the concerns of the
6 manufacturers would be commoditization, you look at
7 the span of products that are out there today, the
8 bottom end 80 percent, the top end 98, that's an 18 point
9 AFUE spread. You compress that down to six. And so
10 from a differentiation standpoint, yeah, you could say
11 there's a good, better, best, but it's kind of a
12 best, better, better-er option.

13 (Laughter.)

14 MR. HURST: There's not a lot of -- it
15 doesn't give you a lot of marketing.

16 MR. LAU: Sure. Recognizing that there
17 are a lot of factors that manufacturers use to
18 justify premium products, among them is efficiency.
19 What we do is we do this good, better, best. And
20 where there are multiple levels, the lowest level was
21 good, the top level is best and then everything in
22 between was better.

1 (Simultaneous conversation.)

2 MR. HURST: What were the other ones, just
3 out of curiosity?

4 MR. LAU: Say again?

5 MR. HURST: What are the other ones
6 besides efficiency? What color of gray you can get
7 it in?

8 MR. LAU: I mean, there's reputation,
9 warranty.

10 MR. HURST: I understand. I'm being a
11 little facetious.

12 (Laughter.)

13 MR. HURST: But it is very challenging
14 because that's, unlike automobiles, these things aren't
15 sexy to drive. You can't put the top down and feel
16 better. That's all.

17 Thank you.

18 MR. LAU: I guess where I was going, I
19 think we tried very hard to capture that. And as the
20 number of efficiency levels dropped, there was less
21 and less ability to justify higher markups. In fact
22 at 95 percent, for example, there was only room for a

1 good and better, there was no premium markup.

2 MR. BROOKMAN: Frank Stanonik?

3 MR. STANONIK: All right. So I'm going to
4 get to my question. So standard level two was 90
5 something in the north and 80 rest of the country.
6 And the change in INPV in that case potentially is
7 very largely negatively, almost . . . What are those in
8 millions of dollars, right? \$22 million almost? Oh,
9 percent. That's probably worse.

10 So yet when you go to trial standard level
11 three, so potentially at that second standard level,
12 again, looking at it somewhat simply, the
13 manufacturer in a sense really only has to address,
14 let's say, roughly half of his product line. Because
15 it's 80 in the south, right?

16 And yet that appears to have a much larger
17 potential negative effect on his value as opposed to
18 trial standard level three where essentially he has
19 certainly the potential to have to redo rough
20 numbers, probably at last 75 percent of his line.
21 How does that work?

22 MR. BROOKMAN: Mike Rivest?

1 MR. RIVEST: Frank, we've scratched our
2 head, and we asked ourselves exactly that question.
3 So really what's impacting, what's creating the
4 impacts here are the good, better, best assumptions
5 and the market shares of the various efficiencies
6 after standards. Not so much the investment numbers
7 because the investment numbers relative to the
8 revenues are not that large compared to the other
9 rules where I've seen investments of \$400 million for
10 a \$1 billion industry. Here, we're seeing investments
11 of \$80 million for a 1.1 -- you know, for a \$1
12 billion industry.

13 And if you think about the 92-percent AFUE
14 level, a lot of the R&D has been done and given --
15 you know, we talked about earlier the cyclical, you
16 know, the boom-bust nature of the production. You
17 know, a lot of the production capacity is there. So
18 that's why those investment numbers are not
19 irrational. So what's driving this analysis right
20 now is the shipments assumptions and the shipment
21 distribution numbers. And what John was getting at
22 earlier, you know, we're continuing to assume the

1 ability to do a good, better, best, and what I was
2 hearing in this comment is, well, maybe we'll get a
3 good, better, best, but the spread in margins won't
4 be as good as it was. So under a different set of
5 mark ups, for example, and looking under a different
6 set of shipments which I think we'll be getting as
7 well, you know, I think we'll be seeing more
8 differentiation between a national standard and a
9 regional standard for the impacts.

10 MR. BROOKMAN: Frank, keep going.

11 MR. STANONIK: Frank Stanonik. So, Mike,
12 and things are clicking in. So I guess I was ignoring
13 that standard level two in the north is 95%, which would
14 require investment.

15 MR. RIVEST: There's actually not much
16 difference on the manufacturing side from a 92% to a
17 95%. A lot of the incentives right now are at 95%,
18 and if you look at the production costs, they're not
19 much different than 92%. What's really driving
20 investments is going to be 98% because that's a different
21 product.

22 MR. LAU: But at 95%, you see that loss of

1 --

2 MR. RIVEST: But there you're losing
3 margin.

4 MR. LAU: Yes.

5 MR. BROOKMAN: Thanks, Chris. Thanks a lot.

6 (Simultaneous conversation.)

7 MR. STANONIK: So in a sense, it is what it
8 is, so the fact is that one of the levels that wasn't
9 looked at was 92% in the north and 80% in the south.
10 We would have probably seen -- just at least on this
11 slide, we probably would have seen a change in net
12 present value more like either one or three?

13 MR. RIVEST: More like the 92s, you know.

14 MR. STANONIK: Okay.

15 MR. RIVEST: But, you know, it's based on
16 those stated assumptions and the shipments which, you
17 know, we all need to look at.

18 MR. BROOKMAN: Okay. Mike, thanks, that
19 was helpful.

20 Chris, keep going.

21 MR. LAU: Let's see. So here you can see
22 DOE proposes TSL three. It did consider -- the

1 notice does say DOE strongly considered TSL four.
2 Contributing to the selection of TSL three is
3 cumulative regulatory burden and, in particular, the
4 overlap of the furnace fans rule on the residential
5 furnaces rule.

6 What's unique about such circumstance for
7 this rulemaking is that both rules take effect at a
8 similar timeframe, 2019 and 2021. The rules impact
9 design and manufacture of essentially the same
10 product, and as DOE understands it, the cost of the
11 two rules are additive with little overlap. And so
12 you're basically adding on -- you're combining the
13 variable cost increase and variable costs, as well as
14 increases in conversion costs.

15 Here, we see the impacts of the two rules.
16 Impacts with TSL four, impacts with TSL three, and
17 impacts from the furnace fan rule. What we see here
18 is the effective year, the incremental MPC, and then
19 the industry conversion costs. I guess I'd like to
20 start by asking the industry whether that's a good
21 assumption, the costs are largely additive? I think
22 I saw some heads nodding earlier, and I see them

1 again. So, DOE's assumption there was good.

2 MR. BROOKMAN: Just for the record, I only see
3 one head nodding.

4 (Laughter.)

5 PARTICIPANT: I see two.

6 MR. BROOKMAN: Okay. Okay. Good. Thanks
7 for that silent confirmation.

8 MR. STANONIK: Frank Stanonik. I mean,
9 fan efficiency is clearly looking primarily at the
10 efficiency of the blower fan combination, or motor
11 blower combination which is primarily an electrical
12 consumption, and this really doesn't have a huge
13 effect on the AFUE. So, yeah, that's pretty
14 separate.

15 MS. ARMSTRONG: This is Ashley from DOE.
16 I think that's true. I think one of the issues that
17 we teed up in the NOPR specifically that we asked for
18 comment on was, is there any possible synergy? So
19 would there be one round of testing? Would there be
20 one round of marketing material changes? I mean, are
21 there things that doing these things together or
22 roughly at the same time would actually be helpful?

1 Well, some of the costs and some of the design
2 differences may be separate in terms of the
3 investments. Are there other things in terms of
4 conversion costs that would actually be done
5 together?

6 MR. BROOKMAN: John?

7 MR. HODGES: There are synergies, but
8 don't accelerate the timing.

9 (Laughter.)

10 MR. BROOKMAN: Well, thanks for the comment
11 though.

12 Helpful. Okay. Any additional comments
13 on potential synergies or confirmations?

14 (No response.)

15 MR. BROOKMAN: Okay. We're going to move
16 on.

17 MR. LAU: Sure. We also looked at the
18 small business impact of the standard. DOE
19 identified three domestic small business
20 manufacturers of covered product, one of which was a
21 manufacturer of non-weatherized gas furnaces, and two
22 which were manufacturers of mobile home gas furnaces.

1 DOE notes that the small non-weatherized
2 gas furnace manufacturer sells a condensing product
3 today; however, it does not have the same number or
4 proportion of offerings as large competitors. The
5 small mobile home furnace manufacturers, both of them,
6 neither offer -- do not offer a condensing product
7 today and probably need to undertake a development
8 effort to remain in the market.

9 We can invite comment on the number,
10 potential impacts, and severity of impacts on these
11 affected manufacturers.

12 MR. ROSENSTOCK: Steve Rosenstock, EEI, and
13 again I'm looking through the NOPR. I was wondering,
14 where was the estimated -- the impact on domestic
15 employment? Which table was that in the NOPR?

16 MR. LAU: So it would be in section five,
17 B(2), I believe.

18 MR. ROSENSTOCK: B(2)?

19 (Pause.)

20 MR. ROSENSTOCK: No, it's not there.

21 MR. BROOKMAN: We'll look it up.

22 MR. LAU: At the high level, roughly

1 there's some small increase in employment due to
2 increased labor content at the high end. And then at
3 the low end, there's -- what we've seen is a trend of
4 production moving overseas from some manufacturers.
5 We extend that trend out.

6 MR. ROSENSTOCK: So your impact is a
7 negative domestic employment impact?

8 MR. LAU: Right. There's a range of very
9 negative to slight gain.

10 MR. ROSENSTOCK: Okay. I just wanted to
11 see what that range was. Thank you.

12 MR. HURST: A question to follow up on
13 that. Is that -- yeah, John Hurst, with Lennox, I'm
14 sorry. Is that assembly, or is that componentry as
15 well?

16 MR. LAU: What we take into account is
17 direct production labor of the folks with a compliance
18 burden, so it's just the manufacturers.

19 MR. HURST: Okay.

20 MR. LAU: So it's basically everyone who
21 touches a product.

22 MR. HURST: Thank you.

1 MR. BROOKMAN: Steve, go ahead.

2 MR. ROSENSTOCK: Steve Rosenstock, I found
3 it. It's Table V-20, and it says, potential changes,
4 domestic production workers in 2020 for TSL three,
5 negative 2,692 to 210. So basically as many as 2,692
6 job losses in the U.S. in 2020.

7 MR. LAU: That would be the lower --

8 MR. ROSENSTOCK: The worst case.

9 MR. LAU: -- half --

10 (Simultaneous conversation.)

11 MR. ROSENSTOCK: And in the best case,
12 there might be a 210 increase at the best case?

13 MR. LAU: That's correct.

14 MR. ROSENSTOCK: Thank you.

15 MR. LAU: Okay. Next is the results from
16 the standby mode. And we looked at standby mode
17 standards independent of the AFUE mode standard. On
18 the whole, the standby impacts are small relative to
19 the active mode standard, but we took into account
20 the engineering costs adders, conversion costs, and
21 changes in markups. However, we did not think that
22 there would necessarily be shipment changes given

1 that the cost adders were \$1 to \$10 per unit. And so
2 as you can see, the impacts are much, much smaller
3 than for the active mode standard.

4 But we put that in here for completeness
5 sake.

6 MR. BROOKMAN: Yes, Andrew deLaski?

7 MR. deLASKI: So I just want to confirm
8 that for the manufactured impact analysis, the
9 analysis is looking at the net present value of the
10 furnace division of these companies?

11 MR. LAU: That's correct.

12 MR. deLASKI: Okay. Thank you.

13 MR. BROOKMAN: Dave, comment? Nope, Okay.

14 Okay. Yes. We're moving to the
15 environmental employment and addition --

16 MR. LAU: We have one more question in the
17 back.

18 MR. BROOKMAN: Yes, please, Rick.

19 MR. MURPHY: (Off microphone.)

20 MR. BROOKMAN: Start again, Rick.

21 MR. MURPHY: Rick Murphy, AGA. Chris, you
22 had indicated you looked at a number of factors that

1 were previously raised, one of which was installed
2 costs in the manufacturer impact analysis. How did
3 that come into play?

4 MR. LAU: It actually comes into play
5 through the shipments. So one of the things -- what
6 it was, it was a key issue that manufacturers raised in
7 interviews that they asked DOE to consider. And so as you
8 may recall, Victor went through an extensive
9 discussion of all the different venting types and
10 installation costs that were considered. So those
11 factors affected the shipments analysis and consumer
12 choices of what they purchased, and that flows into
13 our model in terms of what is bought and how that
14 affects manufacturer revenue.

15 MR. MURPHY: Okay. So in the lifecycle
16 cost analysis that Victor went through, we had a lot
17 of discussion about costs of equipment at the retail
18 level and costs of installation at the retail level.
19 And we had a discussion as to how did that bottoms-up
20 approach come up with a number? How is that
21 reconciled, or is there reasonable test to see what's
22 actually playing out in the market?

1 Did you look at that? Because I believe
2 the answer to that back in the discussion was that
3 there is nothing that is done right now to do a
4 reasonableness test --

5 MR. LAU: Right. In order to make the
6 analyses consistent, we used the exact same shipments
7 forecast as is used in the NIA. So we don't do anything
8 -- we do not use a different -- we don't use
9 different factors or different installation costs than
10 were considered previously.

11 MR. MURPHY: And I guess just one last
12 question if I could. John and Ashley mentioned at
13 the last meeting that we are trying to get more
14 information from the field as to what we're seeing as
15 far as equipment costs and installation costs. If
16 we're able to provide that information to you, how
17 will that actually be used in your work going
18 forward?

19 MS. ARMSTRONG: We would welcome any data
20 or information that you or any other stakeholder
21 could provide to help inform our analysis. So we
22 would take it and look at our analysis and revise if

1 necessary and as appropriate. So we would appreciate
2 it.

3 MR. BROOKMAN: So that was Ashley, and we
4 have a comment or a question from Terry Small online.
5 We have found that a \$6 cost increase going
6 from PSC to improved PSC is ridiculous, especially
7 where a BPM motor is required for a conditioned or a
8 conditional MHGF for furnace fan compliance regarding
9 slide 113.

10 MS. ARMSTRONG: All right. Thank you.

11 MR. BROOKMAN: Thanks for your comment,
12 Terry.

13 MS. ARMSTRONG: Yeah, if he wants to
14 comment in more detail, especially when he sends in
15 his written comments and/or through a confidential
16 nature since it has to do with specific costs, we
17 would welcome feedback on those costs.

18 MR. BROOKMAN: Okay. And everybody, I
19 think knows how to execute an NDA through Navigant.

20 Frank Stanonik?

21 MR. STANONIK: Frank Stanonik, pretty
22 quick question for DOE. Particularly with the GRIM

1 model, and going back to the meeting we had about
2 your analytical tools, and you mentioned certain
3 things are locked, would it be possible for us to get
4 a copy that would allow us and our consultants to
5 perhaps put in some different values for some of the
6 locked things?

7 MR. BROOKMAN: Ashley Armstrong?

8 MS. ARMSTRONG: So this is Ashley from
9 DOE. We'll take the request under advisement and get
10 back to you with a yes or a no. I think DOE's
11 position has been in the past that currently while
12 the GRIM has some locked cells, it doesn't have any
13 hidden cells, so you can actually see the equations
14 that are being implemented, you know. It's very
15 transparent in nature. They are locked for a reason,
16 because the model only works to calculate certain
17 types of cash flow and different scenarios. And if
18 you were to change things and put different shipments,
19 then it wouldn't necessarily be the GRIM as DOE has
20 created it and function in the same matter. It could
21 confuse things. So that's one of the reasons we do
22 lock certain cells, but we keep them -- we make sure

1 that they're unhidden so you can see everything and
2 to provide transparency, and all of our equations are
3 outlined in the TSD. So we'll take it under
4 advisement and get back to you.

5 MR. CYMBALSKY: And to follow on, this is
6 John from DOE. We'd be happy to do different
7 scenarios for you, so if you would like to provide
8 different numbers for those cells, we will run them
9 for you. In fact, the locked cell prevents that from
10 happening.

11 MR. BROOKMAN: Okay. Thank you. Thanks,
12 John.

13 Then we're going to move on to the next
14 segment. Victor Franco.

15 MR. CYMBALSKY: We're going to forego
16 lunch for an early dismissal for cherry blossom
17 viewing for those of you who are from out of town.

18 MR. BROOKMAN: At a peak right now.

19 MR. FRANCO: This is Victor Franco again.
20 I'll be going through the environmental/employment analysis.

21 First we do the emissions analysis. This
22 is in Chapter 13, the details. The purpose of the

1 emission analysis is to estimate the emissions
2 reductions resulting from amended standards. It
3 includes full-fuel-cycle emissions, including power
4 plant and upstream emissions. It includes fugitive
5 methane emissions.

6 The method for determining these emission
7 factors is using the output from the AEO 2014
8 reference and standard cases to assess marginal
9 emission factors. The results for this analysis you
10 will find in further detail in Chapter 13, but here
11 are the results for TSL three for both the AFUE and
12 standby and off mode.

13 MR. BROOKMAN: Steve Rosenstock?

14 MR. ROSENSTOCK: Steve Rosenstock. Some
15 people probably wish they had gone to lunch now when
16 I'm about to start talking here. There's significant
17 problems with this analysis, especially where it's
18 showing increase in emissions. When I've looked at
19 the impact, that's assuming that there's increase
20 from emissions on electric generation side from the
21 estimated electric increases from fuel switching.
22 This just really just goes against everything that's

1 happened. On the institute side, emissions have been
2 regulated since 1990 under the Clean Air Act.

3 And the data that I got from our
4 environmental folks, electric use since 1990 to 2013
5 has gone up 35 percent. SO2 emissions absolute, not
6 per kilowatt hour or megawatt hour, but the absolute
7 SO2 emissions have gone down 80 percent. Even last
8 year with the polar vortex and some utilities having
9 to use oil rather than gas, emissions went down for
10 SO2 NOX, and CO2 nationally last year even with the
11 polar vortex.

12 Looking at mercury, the MATS rule goes
13 into effect on Thursday. A lot of utilities have
14 already put in controls on mercury. I've seen data,
15 basically mercury emissions from an NRDC document.
16 Mercury emissions for power plants decreased 51
17 percent since 2000, and according to the
18 environmental folks I talked to, most of the plants
19 have already been retrofitted. Some are going to be
20 retrofitted as of April next year. Then there's a
21 power plant retirement. The environmental people told
22 me that by next year, mercury emissions from power

1 plants are going to go down another 80 percent from
2 this year -- from last year's level.

3 So when I see these numbers about, quote,
4 increasing in emissions, it's just -- I see what
5 they're doing in the analysis, but it's totally
6 ignoring the environmental regulations, the actual
7 impacts.

8 Now, you might say, well, wait a minute,
9 what if there is an increase? Well, when I look at
10 the numbers in here, and I'm seeing the potential,
11 they're saying that, well, there might be an increase
12 in power plant capacity. That's in the utility impact
13 analysis in Chapter 15. I'm seeing numbers like, you
14 know, that there's going to be an increase of 50
15 megawatts in coal-fired power plant capacity by 2050,
16 and that's just insane. That's not going to happen.
17 Coal plants are closing right and left, and this
18 analysis assumes there's going to be 50 megawatts of
19 new coal-fired generation in the U.S. as relative to
20 this standard. It's not going to happen.

21 MR. CYMBALSKY: So your point is well
22 taken on what's trending. Those trends will be

1 picked up both in the baseline and the standards
2 case. What we're trying to do here is just show that
3 all else is equal. And I mean, polar vortexes and
4 all that kind of good stuff, if you add -- and I'm
5 going to make up a number here, two million electric
6 heating devices versus not having those two million
7 heating devices. And everything else is the same.
8 Then you will have -- if you burn one lump of coal
9 more in that case, you will have greater SO2
10 emissions. That's a fact regardless of what is going
11 on in the trend in both of those cases. Your point
12 is well taken, but what we're looking at here is just
13 the difference in case A that has more electric
14 heating devices than case B that doesn't. And so all
15 else is equal. The trends that you see with coal
16 plants closing et cetera, et cetera, are in both of
17 those cases, so, that's just a fact. As for the
18 number of coal plants being built, is that an
19 artifact of the AEO or is that security --

20 PARTICIPANT: This comes from everything

21 --

22 MR. CYMBALSKY: SO that's what they're

1 building in the 2014 baseline. I know someone
2 mentioned at the break that the AEO will be released
3 tomorrow, I believe, 2015, so we will pick up -- you
4 know, to the extent that those trends change based on
5 some other things that you've talked about, we will
6 pick them up in the next round of analysis. But it
7 still remains the fact that if you add two million
8 electric heating devices, all else equal, there is
9 going to be some coal generated at this point in time
10 to meet that extra demand.

11 MR. ROSENSTOCK: Steve Rosenstock, EEI.
12 Now it's getting in the weeds of . . . well, it depends on
13 which region of the country you're in and what is the
14 generation. And in terms of marginal generation, if
15 you look at some of the FERC or EIA data, for
16 example, in terms of "marginal," they put out
17 something today in Energy a little while ago saying
18 that about 13,000 megawatts of coal plants are going
19 to be retired this year, and the increase is going to
20 be 9,800 of wind, 2,200 of solar, 1122 in nuclear,
21 471 of other renewables, and 4318 of gas. I mean, it
22 just --

1 MR. CYMBALSKY: Are you saying no baseline
2 capacity will be used at all to service these extra
3 furnaces that we have in our standards case?

4 MR. ROSENSTOCK: No, I'm saying that the
5 base-load capacity is changing quite rapidly, and of
6 that base load capacity, they all have controls to
7 minimize their production of either SO2 or mercury.

8 MR. BROOKMAN: Steve, those details would
9 be especially helpful on your written comments.

10 MR. ROSENSTOCK: Okay.

11 MR. BROOKMAN: Okay. Thank you.

12 MR. FRANCO: Thank you so much. So let's
13 move on to the monetization of the emission
14 reductions. So based on the emission results from
15 Chapter 13 and Chapter 15, we provide the
16 monetization of emissions. The purpose of this is to
17 estimate the monetary benefits of reduced emissions
18 resulting from a proposed energy conservation
19 standard.

20 The method used is using the social cost
21 of carbon values as determined by interagency reviews.
22 The social cost of carbon is intended to be a

1 monetary measure of incremental damages resulting
2 from greenhouse gas emissions including, but not
3 limited to agriculture production losses, human
4 health effects, property damage from rising sea levels,
5 and changes in ecosystem.

6 The interagency estimates are
7 provided as part of the TSD Chapter Appendices 14A
8 and 14B. The values for the emissions are provided
9 here, and they're calculated in those reports.

10 DOE also estimated NOX emission reductions
11 resulting from the amended standards, and the values
12 are provided here as well.

13 DOE is still evaluating appropriate values
14 to use for monetized avoided SO2 and mercury
15 emissions.

16 MR. BROOKMAN: Jim?

17 MR. MOORE: Jim Moore. We would like the
18 last bullet point to consider actual cost from
19 trading markets. If you look at the EUC, the REGI
20 program, the California program, the voluntary
21 programs, they are all way lower than those numbers
22 there. They tend to be in the single digits. And

1 we'd encourage you to look to markets for pricing as
2 opposed to the societal cost of carbon. Thank you.

3 MR. BROOKMAN: Thanks, Jim. Steve
4 Rosenstock?

5 MR. ROSENSTOCK: On your slide for the NOX
6 values, you say an OMB Report to Congress 2006, and
7 as I remember in that report that was -- I looked in
8 the technical support document that's on the
9 emissions impact not the monetization, but I believe
10 that report kind of looked at the studies from
11 1990 through like 2004 in terms of what the estimate
12 was. So I was wondering, is DOE going to lock in
13 with those numbers from 20 years ago, or is DOE ever
14 going to try to look at maybe reanalyzing those
15 numbers to update them for 2015 maybe?

16 MR. FRANCO: Definitely. If any input comes
17 in that we could revise those values, definitely,
18 DOE will definitely consider that.

19 These are the results for the monetized
20 emission reductions. Again, DOE is proposing TSL
21 three. The values presented here are for CO2 and NOX at 3
22 percent and 7 percent discount rates.

1 DOE seeks input on the approach of
2 collecting emissions analysis. DOE seeks input on
3 the approach for estimating the monetary benefits
4 associated with the emission reductions.

5 MR. BROOKMAN: Comments on these two
6 requests?

7 (No response.)

8 MR. BROOKMAN: Okay.

9 MR. FRANCO: In Chapter 15, DOE presents
10 the utility impact analysis. The purpose is to
11 assess the impacts on the electric installed capacity
12 and generation resulting from the adoption of
13 potential energy conservation standards.

14 The method is to model energy savings
15 impacts for each TSL using AEO 2014 to generate the
16 forecasts that deviate from the AEO referenced case.

17 The results are changes in total
18 electricity generation, changes in the mix of
19 electricity generation by fuel type, and changes in
20 total installed capacity.

21 The full description of this is available
22 in Chapter 15, as well as the results.

1 MR. BROOKMAN: Steve.

2 MR. ROSENSTOCK: Steve Rosenstock, Edison
3 Electric Institute. It's a gas furnace standard, and
4 I was wondering why Chapter 15 doesn't talk about the
5 impact on gas utilities upstream?

6 MR. FRANCO: This is just looking in terms
7 of the utility of electricity.

8 MR. ROSENSTOCK: What about the utility of
9 the gas or the propane? That's a primary impact of
10 this standard.

11 (Simultaneous conversation.)

12 MR. BROOKMAN: Mark. Mark, please.

13 MR. KREBS: You know, way back when at the
14 table, you know, when they were setting up EPCA, you
15 know, I don't think AGA was quite as vociferous as
16 they could have been, you know, so maybe that
17 explains why they still today when they do utility
18 impact analysis don't consider gas utilities.

19 MR. BROOKMAN: Okay. Final comments on
20 utility impact analysis?

21 Jim?

22 MR. MOORE: Yeah, Jim Moore, Laclede. We

1 believe there will be a substantial impact on gas --

2 (off microphone) --

3 MR. BROOKMAN: Jim, apparently it's not on.

4 MR. MOORE: Sorry, I thought I had turned

5 it on. I apologize. It's Jim Moore from Laclede.

6 And we believe that there will be a substantial

7 impact, especially in the south due to electric

8 switching on gas utilities in particular, and we would

9 like to see that addressed.

10 Additionally, I've done a lot of looking

11 at marginal rates, and we believe that the AEO data

12 grossly overestimates the marginal price for gas and

13 electric, and I'm hoping to see it fixed tomorrow in

14 the AEO 2015, but I have my doubts. I look back to

15 1998, and they've consistently, almost every year,

16 underestimated electric rates and overestimated gas

17 rates for the past ten years. So I'm hoping they'll

18 fix it, but I have my doubts, and I would like to see

19 DOE consider true marginal prices when they do this

20 rulemaking. Thank you.

21 MR. BROOKMAN: Okay. Thank you.

22 MR. FRANCO: Thank you. The last part of

1 the analysis is in Chapter 16, where we consider indirect
2 employment impact analysis. The purpose of this is
3 to assess the overall impact on indirect national
4 employment from the proposed energy conservation
5 standards, which results from shifting consumer
6 expenditure among goods and services and changing
7 product and energy costs.

8 To do this, DOE used the impact of sector
9 energy technologies, ImSET model, for the valuation of
10 indirect employment impacts. The results of this is
11 that DOE anticipates net labor impacts from the small
12 over time due to small magnitude of short-term
13 effects. See Chapter 16 of the TSD for further
14 details.

15 MR. BROOKMAN: Employment impact comments?

16 (No response.)

17 MR. CYMBALSKY: Okay. So the next two
18 slides talk about some additional research DOE has
19 funded in the area of venting. I know it's been a
20 big topic of conversation about the potential costs
21 of some tricky venting situations that might exist
22 when requiring condensing furnaces. So this slide

1 points out, and we had put this in the TSD, some links
2 to some research that we've done in the area of
3 venting. I just want to point out that this is side
4 research and shows what could be in the future. It
5 is not incorporated into the baseline numbers in the
6 analysis that we presented in the last two meetings.

7 If you go to the next slide, so this was
8 just some pictures of some venting solutions from M&G
9 DuraVent that have been also looking into different
10 potential solutions to venting strategy. So you can
11 see, the one on the left is certainly further up
12 along. It is a solution that is for sale now. It
13 has been UL listed, and so basically, it's a drop-in
14 approach to the B vents. And I'm not going to go
15 into detail. This is just to show you that sometime
16 in the future, it is our hope that there is a bigger
17 market for different retrofit technologies that could
18 go for venting and to make the venting a little less
19 costly than what we see in our analysis today. So
20 I'd point everybody to the documents that are listed
21 in the previous slide.

22 And then finally, that's really it on

1 that. If there are any comments on the venting
2 strategy, we will take them now, and then we'll move to
3 closing remarks.

4 MR. BROOKMAN: Thank you. Mark.

5 MR. KREBS: Mark Krebs, Laclede Gas. AGA
6 is the secretariat for I think it's the NFGC and --
7 and I asked them to look into this, this DuraVent
8 thing, you know, what the status is, and I'm not going
9 to say you're wrong, but what I will try to do is get
10 you his analysis.

11 MR. CYMBALSKY: That's helpful. That's
12 exactly what we're looking for, and that's why we
13 threw this out here.

14 MR. BROOKMAN: Okay. So now Andrew
15 deLaski?

16 MR. deLASKI: Yeah, we did a little
17 looking at manufacturing websites, and these parts in
18 many cases are already approved by the manufacturers
19 for use with their products. So it's not in the
20 future; it's here today. So things that are here
21 today should be in today's analysis. So I would
22 certainly encourage the Department in revising its

1 analysis to include venting technologies that are
2 approved by UL, recommended -- not recommended, but
3 also approved by the manufacturers for individual
4 products should be incorporated into the main
5 analysis to reflect the actual costs that consumers
6 are going to face. They're going to choose a
7 low-cost option for installation, so I think that's
8 an update that's needed for the analysis.

9 MR. BROOKMAN: Okay. Frank? Yes.

10 MR. STANONIK: Frank Stanonik, just maybe
11 to complete the loop on this. The complete standards
12 process that manufacturers have to deal with, yes,
13 they have to deal with the fuel gas code. Yes,
14 venting systems get approved as venting systems, but
15 there also needs to be appropriate or corresponding
16 requirements in the appliance equipment safety
17 standard that will be used to evaluate or determine
18 for which venting systems the equipment will be
19 listed. As an example, today, furnaces would be
20 listed for use with either type B vent or stainless
21 steel vent or PVC or so on. And so the fact that
22 this, at least on the one slide it's been UL Listed,

1 that's kind of half the equation. And as far as I
2 know, we won't have the other part yet where the
3 equipment standards would recognize this system and
4 then also have that coverage that says, this
5 appliance can be installed on a venting system that
6 looks like this. There's more to be done. It's not
7 fully there.

8 MR. BROOKMAN: Mark?

9 MR. KREBS: One short comment on that.
10 What that AGA briefing essentially concluded is,
11 yeah, this new DuraVent stuff, you know, it can be
12 installed, but it basically has to be done on a
13 case-by-case approval basis. I think that's a fair
14 summary of the status of it. And like I said, I'll
15 try to get that to you for the record.

16 MR. BROOKMAN: Okay. Thanks for doing
17 that.

18 So I think Andrew deLaski?

19 MR. deLASKI: I'll circle back with you,
20 Frank, but my recollection of that, I've seen the
21 DuraVent material approved by individual
22 manufacturers, you know, in their literature. So I

1 need to understand what that means. So maybe you and
2 I need to circle back off-line.

3 MR. BROOKMAN: Okay. Now, we wish to
4 receive any final comments. Oh, Ashley has a comment
5 before we go there.

6 MS. ARMSTRONG: So I just want to bring up
7 one issue that was brought up at the last public
8 meeting with regards to the engineering, just to let
9 you know kind of what's coming.

10 We had some questions with regards to how
11 the aggregated manufacturing production costs were
12 generated -- specifically some additional questions
13 about the cost model -- and we had previously described
14 generally how we got the cost in terms of the
15 aggregated MPCs in great detail, and obviously that's
16 well documented in the TSD. You know, they're based
17 generally at a high level on physical teardowns.
18 Then we use the manufacturing cost model. We've
19 aggregated MPCs, and we've gone through the
20 manufacturing interview process to go through
21 individual costs with the manufacturers themselves.
22 We've gotten feedback on those costs, component

1 costs, material costs. We've incorporated that into
2 our analysis. We've aggregated it up, so we do intend
3 -- there was a request for some additional
4 information and if DOE could provide some additional
5 information underlying those aggregated MPCs. So DOE
6 does intend to place in the docket specifically in
7 response to those stakeholder requests some
8 additional info regarding the major subassemblies and
9 how they break down with regards to the manufacturing
10 production costs. We're also going to place a couple
11 of slides that kind of walk through that, so you'll
12 see that in the docket as well as the key material
13 prices. And obviously all that, as well as all the
14 other aspects of our engineering analysis, is open for
15 comment, and we would actually welcome your comment on
16 it.

17 So I just wanted to highlight that so you
18 can note to go to the docket. We'll send out an email blast
19 to let you know it's available, and that will be
20 there for you to look at.

21 MR. BROOKMAN: Okay. Thank you.

22 Closing remarks. Aniruddh?

1 MR. ROY: Aniruddh Roy, Goodman. So I
2 have a question on the engineering analysis. If you can
3 go back to slide 19.

4 MR. BROOKMAN: Nineteen?

5 MR. ROY: Yeah.

6 (Laughter.)

7 PARTICIPANT: What are you doing?

8 MR. ROY: I had to do some of my homework
9 after the initial public meeting.

10 PARTICIPANT: I put all my stuff away.

11 (Laughter.)

12 (Pause.)

13 MR. ROY: So while they're pulling up the
14 slide, I'll just brief everyone on what's going on.
15 So the assumption here for non-weatherized gas furnace
16 is that the combustion system type will be a
17 two-stage as a baseline, whereas in Chapter 5, Table
18 5.4.3 specifies the baseline being a single-stage
19 equipment. And then eventually, a cost adder of
20 \$34.72 is being added to move from a single-stage to two-
21 stage. There is also a statement in the TSD which
22 says, following the 2014 furnace fan rulemaking, in

1 2019, all non-weatherized gas furnace units will be
2 required to include multistage operation in addition
3 to higher-efficiency blower motors. For this reason,
4 DOE included the \$34.72 cost adder to change from a
5 single-stage to a two-stage.

6 Now, the question I have is that when you
7 did the test procedure NOPR, there was a statement
8 made by Ingersoll Rand saying that the two-stage
9 operation will be affected based on the test
10 procedure improvements. So it looks to me in the
11 engineering analysis, single-stage is the only one
12 that has been tested, and then the \$34.72 has been
13 applied as a cost adder. So, I guess, has DOE
14 evaluated the impact of the new test procedure on a
15 two-stage? That's the first question.

16 The second question being -- is that we feel
17 that the furnace fan rulemaking can be adhered to by
18 manufacturers using single-stage equipment. So my
19 question is, why was the assumption made that only
20 multi-stage operation can meet the 2019 levels?

21 MS. ARMSTRONG: So this is Ashley from
22 DOE. I'm going to address the first part, and then

1 Adam is going to address the second part. With
2 regards to the test procedure, DOE did do some
3 testing with regard to the potential impact on the
4 proposed changes to the test procedure. DOE did talk
5 about that at the test procedure public meeting, and I
6 think, in an aggregate form, DOE found that the ratings
7 would not change. We came to a conclusion or at
8 least a tentative conclusion that the ratings -- the
9 AFUE ratings if they still existed would still be
10 valid under all of the proposed changes that we were
11 making. Some manufacturers commented with respect to
12 that, so obviously, we welcome your data. The data
13 that we have shows in an aggregated fashion that
14 those rating remain valid.

15 MR. BROOKMAN: Adam.

16 MR. DARLINGTON: This is Adam Darlington
17 from Navigant. So as to your question about the
18 assumptions in the engineering, basically what we
19 started from was what was done in the furnace fan
20 rule. So in the furnace fan rule, the assumptions
21 there were that to meet that standard, manufacturer would
22 have to implement two-stage designs and X-13 fan

1 motors, basically. So when we started out looking at
2 the analysis, you know, we did teardowns of single-
3 stage, two-stage, fully-modulating, ECMs, you know,
4 full-modulating ECMs, X-13s, PSCs, and everything in
5 between. And so we did all these combinations, and
6 basically, what we had in our baseline initially was
7 that single-stage PSC that's in the TSD. And then we
8 looked at the cost differential for what was going to
9 happen from the furnace fans rule and just sort of
10 added on so it's considered in the analysis.

11 Now, if you're going to be able to meet
12 the furnace fans rule with a single-stage, that would
13 be excellent information to know. And certainly we
14 would welcome those types of comments so we could
15 revise the assumptions about what's going to happen,
16 but we were just going off of what was done in the
17 furnace fans rule for what they would assume would
18 need to be done to meet that standard.

19 MR. BROOKMAN: Okay. Now, let's take
20 closing remarks.

21 Summary remarks here as we move towards
22 closure. Please Kathryn.

1 MS. CLAY: Thank you. This is Kathryn
2 Clay with the American Gas Association. I wanted to
3 take the opportunity as we conclude our many hours of
4 discussion to thank the Department for taking the
5 time to not only hold a public hearing but extend it
6 for this amount of time to give adequate opportunity
7 for all of our questions and to cover all of the
8 material.

9 I have to say I'm in some ways very
10 encouraged. I think we've made some very positive
11 steps in our conversation. Some of the things in
12 particular that I've heard as a response to some of
13 the questions we put to you include major new topics on the
14 table like the impact on low-income consumers, like
15 better transparency on the manufacturer costs and the
16 ability to get transparency there through greater
17 aggregation to protect proprietary information, and
18 also I've been encouraged, although this is not
19 within the Department's purview, but the encouraging
20 signs that we may be seeing better shipment data.
21 That gives us a better sense of the condensing and
22 non-condensing markets. So I think very, very

1 encouraging things have come out of these two days
2 that we've all spent together.

3 And I think that we are moving towards
4 that more open, transparent process that, you know, is
5 so valuable. So just appreciation for that.

6 I have been -- I want to say though that I
7 believe we're still in a dialogue. We've gotten
8 those issues on the table, but they're big ones.
9 They're complicated. We're going to need some time to
10 iterate with you to understand how you put those
11 forward and to give you some honest feedback on how
12 things could be improved. I'll just touch briefly on
13 the conversation we had earlier about the lifecycle
14 cost benefits from fuel switching and the fact that in
15 the analysis the Department has presented, those
16 become positive.

17 I have a gut feeling that it's just a
18 mismatch of -- that the kind of analysis, it's a
19 valid analysis, but perhaps not in this context. I'm
20 thinking of the way that, you know, in accounting you
21 might enter your revenue and your liabilities and it
22 turns out to be a wash. I feel like there might be

1 something there going on.

2 But if we take a step back and think about
3 that one, at the moment if we leave that analysis as
4 it stands, we end up with the perverse result that
5 actually the more fuel switching that occurs under
6 this rule, the more cost beneficial this rule becomes.
7 And I think we all agree that that is not at all the
8 intention of this rule -- to move people away from
9 natural gas.

10 That says to me that there's a structural
11 problem with the analysis, but I think that it's
12 something that we can address together by finding the
13 appropriate way to capture those fuel-cycle impacts.
14 And given the responsiveness that you all have shown
15 on these other major issues, I'm confident that we
16 can keep working together in a positive way.

17 Having said all that, and I'm going to say
18 this as an informal request and reiterate what I had
19 said at the previous public hearing, I really think
20 we're going to need more time on the comment period.
21 And I will go back and check with my membership, but
22 I believe that you will be receiving a more formal

1 request from AGA to extend the comment period given
2 these new issues that we've identified together and
3 the need to address them adequately.

4 Thank you very much.

5 MR. BROOKMAN: Thank you. Additional
6 comments here in closing. Frank -- pardon me, Mark.

7 MR. KREBS: I urge everybody to review the
8 Process Improvement Rule, particularly Part G, to use
9 transparent and robust analytical methods. I'm going
10 to read this real short part of it. "The Department
11 seeks to use qualitative and quantitative analytical
12 methods that are fully documented for the public and
13 that produce results that can be explained and
14 reproduced so that the analytical underpinnings for
15 policy decisions on standards are as sound and
16 well-accepted as possible." Well, that sets a really
17 high bar for the Department, and it's a lofty goal.
18 I'm not sure that we're exactly headed in that
19 direction, however, you know, and I think there are
20 some clear alternatives to all this that it would
21 help us cut to the chase that ought to be
22 seriously considered.

1 You know, when I talked about it last
2 time, I talked about just going with that rough simple
3 payback criteria, you know, and getting away from all
4 this controversy of life-cycle costs, because, let's
5 face it, it's hard to predict the future.

6 The other thing that I want to bring up in
7 closing is that in every rule, every NOPR, there's a
8 section in the back where DOE has to jump through all
9 these different Executive Orders and things that you
10 know, we really didn't touch on in this series of
11 meetings. But one in particular, Executive Order
12 12866, tells Federal agencies to look at all these
13 different alternatives and all -- you know, all these
14 different impacts, and, you know, in there, I guess
15 even, you know, you could probably -- the Secretary
16 could read into that that it also includes looking at
17 carbon emissions. But the last part of the last
18 sentence, it says, "to include the alternative of not
19 regulating." Okay. And that's why we want to look
20 at the shipment data, you know, to see if the markets
21 had merit in that trajectory, you know. Do we really
22 need this rule? And, you know, you're required by

1 Executive Order 12866 subchapter 1A to do it and, you
2 know, I realize it's pretty much anathema for a
3 regulator to not regulate, but nevertheless, that's
4 what this Executive Order calls for.

5 MR. BROOKMAN: Okay. Frank, do you have
6 comments? Oh, I thought you did.

7 John Cymbalsky, please.

8 MR. CYMBALSKY: This isn't my closing
9 remark, but I just wanted to address that we spent, I
10 think, a good half hour talking about the regulatory
11 impact analysis which included what you said. So,
12 one of our favorite Executive Orders is 12866. I can
13 tell you that flat out. But we did. However, your
14 point is well taken. I think once the AHRI data come in,
15 obviously, we will revise those analyses that are part
16 of the 12866 mandate.

17 MR. BROOKMAN: Yes, Charlie?

18 MR. McCRUDDEN: This is Charlie with ACCA.
19 One of my disappointments in looking at some of this
20 stuff was that there was no outreach to contractors
21 specifically. And I don't know if it's a PRA [Paperwork
22 Reduction Act] issue. I don't know if it's an antitrust

1 issue, but to me, the fact is that there was no outreach to
2 contractors specifically on a rule that does not only impact
3 contractors, but also impacts how the products would
4 be installed by those contractors. So maybe that's
5 something that we can work on in the future, but to
6 me, that's a real deficiency here.

7 MR. BROOKMAN: Okay. Final comments?

8 (No response.)

9 MR. BROOKMAN: So then I'm going to turn it
10 back to John Cymbalsky, and for my part, I thank all of
11 you. I think we really covered a lot of ground
12 and very constructive comments across the board.
13 John Cymbalsky.

14 MR. CYMBALSKY: Thanks, Doug. And thanks
15 everyone for participating in these two days of
16 public meetings on this topic. I think we've all
17 learned that this rule is complicated, analytically
18 and otherwise. But I think from what we've heard
19 from stakeholders and what I do believe to be true, I
20 think DOE has been very, very open and transparent
21 about all of its analytical processes, and we continue
22 to get as transparent as possible. I mean, that is

1 definitely a goal of ours. The more data we make
2 available, and the more data we get in response to
3 that, the better the rule. So we're going to
4 continue down that path. But, again, the comment
5 period I believe is June 10th currently, and I
6 understand we'll get an extension request. So we'll
7 consider that if and when that comes in, but let's
8 all keep June 10th in mind until you hear otherwise,
9 and please provide the data and comments as you see
10 fit.

11 If you're traveling, travel safe. If not,
12 you have the afternoon. It's nice out. Go out and see
13 the cherry blossoms, full bloom. I believe I'll be
14 strolling over there myself.

15 So thanks again.

16 MR. BROOKMAN: Thank you all.

17 (Whereupon, at 1:19 p.m., the meeting was
18 adjourned.)

19

20

21

22

<u>A</u>				
A-4 90:1	adders 149:20 150:1	aggregated 49:15 172:11,15,19	40:2,8,15 41:3 47:1,3 50:12 51:4	126:21
A-94 90:3	adding 144:12	173:2,5 176:13	67:1,5,9 69:16	anticipate 46:22
a.m. 1:14 4:2 79:16 79:18	addition 37:8 63:21 81:4 150:15 175:2	aggregation 178:17	70:5,6,12 71:9,18	anticipates 167:11
ability 13:14 121:8 139:21 142:1 178:16	additional 6:3,5 7:22 31:20 69:11 69:18 93:2 146:12 167:18 172:12 173:3,4,8 181:5	aggressive 46:21	73:3 76:8 80:10	antitrust 183:22
able 6:17 18:5 24:6 26:16 45:6 46:1,3 59:22 71:1 72:2 85:7 121:4 125:19 132:1,5,12 152:16 177:11	additionally 166:10	ago 45:8 62:19 108:5 160:17 163:13	80:11,12,16,17 81:9,13,22 82:13 82:16,18 83:17 84:2 89:2,5,7,11 89:13 91:10,16 92:4 93:3,11,11 94:22 95:4 96:11 98:19 100:3 102:1 102:6 104:22 105:10,11 109:16 110:3 112:12 123:4,8 127:22 128:5 129:2 131:8 131:9 134:21 135:6 141:19 150:8,9 151:2,11 151:16 152:21,22 155:20,21 156:1,9 156:17 158:5,13 158:18 160:6 164:2,10 165:18 165:20 167:1,2 168:6,19 169:10 169:21 170:1,5,8 173:2,14 174:2 175:11 177:2,10 179:15,18,19 180:3,11 183:11	anybody 6:4 8:14 10:12 46:5 134:6
absence 124:10	additive 144:11,21	agree 28:6 32:20 46:10 180:7	82:16,18 83:17 84:2 89:2,5,7,11 89:13 91:10,16 92:4 93:3,11,11 94:22 95:4 96:11 98:19 100:3 102:1 102:6 104:22 105:10,11 109:16 110:3 112:12 123:4,8 127:22 128:5 129:2 131:8 131:9 134:21 135:6 141:19 150:8,9 151:2,11 151:16 152:21,22 155:20,21 156:1,9 156:17 158:5,13 158:18 160:6 164:2,10 165:18 165:20 167:1,2 168:6,19 169:10 169:21 170:1,5,8 173:2,14 174:2 175:11 177:2,10 179:15,18,19 180:3,11 183:11	anymore 45:8 61:11 62:2 112:5
absent 114:15,17 118:17	address 69:12 129:14 130:20 140:13 175:22 176:1 180:12 181:3 183:9	agriculture 162:3	89:13 91:10,16 92:4 93:3,11,11 94:22 95:4 96:11 98:19 100:3 102:1 102:6 104:22 105:10,11 109:16 110:3 112:12 123:4,8 127:22 128:5 129:2 131:8 131:9 134:21 135:6 141:19 150:8,9 151:2,11 151:16 152:21,22 155:20,21 156:1,9 156:17 158:5,13 158:18 160:6 164:2,10 165:18 165:20 167:1,2 168:6,19 169:10 169:21 170:1,5,8 173:2,14 174:2 175:11 177:2,10 179:15,18,19 180:3,11 183:11	anyway 70:7 73:8 73:13 112:19 114:3
absolute 132:2 157:5,6	addressed 126:21 166:9	ahead 70:10 87:3 106:7 114:2 149:1	102:6 104:22 105:10,11 109:16 110:3 112:12 123:4,8 127:22 128:5 129:2 131:8 131:9 134:21 135:6 141:19 150:8,9 151:2,11 151:16 152:21,22 155:20,21 156:1,9 156:17 158:5,13 158:18 160:6 164:2,10 165:18 165:20 167:1,2 168:6,19 169:10 169:21 170:1,5,8 173:2,14 174:2 175:11 177:2,10 179:15,18,19 180:3,11 183:11	apartment 10:15,15 12:16 13:3,4 15:8 15:9 16:17 18:19
Absolutely 33:8 76:21	addressing 27:5 73:4	AHRI 3:5,6 27:1 43:2 45:4,13 49:2 49:10,13,14,18,21 51:10 59:21 60:17 66:9 67:17 101:22 106:19 183:14	180:3,11 183:11 analytical 154:2 181:9,11,14 184:21	apologies 5:10 112:17
AC/HP's 109:2	adequate 178:6	air 3:14 71:13 112:3 137:4 157:2	analytically 184:17	apologize 166:5
ACCA 2:20 47:7 77:4 109:15 183:18	adequately 181:3	Air's 74:18	analyzing 96:9	apparently 11:19 14:17 79:21 166:3
accelerate 146:8	adhered 175:17	Alex 3:15	anathema 183:2	appear 96:9
accompany 13:18	adhered 175:17	Allied 3:14 19:5 71:12 74:18	and/or 153:15	Appearances 2:1 3:1
account 36:13 38:18 40:9,10 98:20 125:1,2 148:16 149:19	adjourned 185:18	allow 154:4	Andrew 2:12 31:21 59:9,16 74:11 84:21 101:4 150:6 169:14 171:18	appears 96:12 140:16
accounted 15:15 16:1 31:17	adjust 95:1	allows 119:6	Aniruddh 3:3 20:3 88:21,22 91:6,7 95:8 134:14,15 173:22 174:1	Appendices 162:7
accounting 98:18 179:20	adoption 78:12,14 164:12	alternative 17:10,11 62:13 100:16 182:18	annual 44:11 48:20 80:21,22 81:14,16 82:16 83:5	appendix 51:14 97:7
accruing 113:1	advance 8:22 34:7	alternatives 100:4,9 102:3,5,9 181:20 182:13	answered 29:19	applaud 32:1,8
achieve 103:8	advantage 9:22	altogether 71:2		appliances 17:4 31:9 58:5
acquired 37:21	advantageous 72:7	amend 19:17		applicable 84:13,16
Act 157:2 183:22	adversely 20:8	amended 36:18 54:7 100:5 128:7 156:2 162:11		applications 37:4 69:16,18 77:6
action 100:10 111:3	advisement 154:9 155:4	American 2:17 3:4 3:7 50:6 52:17 107:5 108:6 178:2		applied 102:19 175:13
actions 108:22	AEO 37:17 38:21 50:22 52:7 83:12 83:14 93:22 94:6 156:7 159:19 160:2 164:15,16 166:11,14	amount 39:10 63:5 178:6		appreciate 46:10 76:16 121:1 153:1
active 102:13 149:19 150:3	affect 109:3 137:1	analyses 129:8 131:5 152:6 183:15		appreciated 34:2 69:19 78:18
actual 13:2 48:12 50:22 55:21 76:8 93:15 158:6 162:18 170:5	afford 27:17	analysis 5:1,16,17 5:18,20,22,22 6:1 7:8 12:10,14 14:9 17:2 19:10 20:1,7 22:15 23:1,4 25:8 27:10,10,15 32:2 32:4,11,15,22 33:5,10,18 35:21 35:21,22 36:1,6 36:12,19 37:8,22		appreciation 179:5
Adam 2:11 176:1 176:15,16	afternoon 185:12			approach 24:11 26:1 68:14,14 81:7 151:20 164:1 164:3 168:14
add 38:1 83:12 135:17 159:4 160:7	AFUE 87:17 99:5 125:17 138:9 141:13 145:13 149:17 156:11 176:9			appropriate 51:14 90:15 134:2 153:1 162:13 170:15
added 174:20 177:10	AGA 45:9 46:14 61:2,3 62:1 64:21 117:8 150:21 165:15 169:5 171:10 181:1			
adder 174:19 175:4 175:13	agencies 182:12			
	agenda 5:15			
	aggregate 176:6			

180:13	90:7 102:20	back 4:17,21 7:9	88:12 96:20 97:2	12:10 19:1 26:9
approval 171:13	141:22 177:17	25:15 28:5 32:8	97:16 98:11 102:7	34:20 35:1 58:13
approved 85:7	assumed 38:3,6	34:14 42:3 59:14	103:3 111:13	78:16 85:9 98:16
169:18 170:2,3,14	47:2 69:16	61:2 62:11 72:15	113:16 114:22	99:2 110:18 119:8
171:21	assumes 158:18	77:19 79:20 80:6	115:3 159:1 160:1	122:5 129:1 132:9
approximately	assuming 17:3 31:2	92:19 101:14	161:1 168:5	138:2,11,12,19,22
113:1	52:22 54:1 55:2	102:1 104:12	174:17,18 177:6	139:16 140:1
April 1:12 4:6	72:4 74:5 96:10	106:8 108:2	basic 47:11 126:20	141:4 142:1,3
157:20	98:4 113:7 156:19	109:15 115:21	basically 19:21 53:1	178:15,20,21
arbitrary 19:19	assumption 47:5	116:5 126:12	120:12 144:12	185:3
area 56:12 68:15	55:7 90:5,12	136:6,19 150:17	148:20 149:5	better-er 138:12
69:2 167:19 168:2	111:2 135:22	152:2 154:1,10	157:15 168:13	better/best 86:9
areas 13:9,13 16:4	136:8 144:21	155:4 165:13	171:12 176:18	beyond 99:7 104:3
64:1,4	145:1 174:15	166:14 171:19	177:1,6	big 60:8 79:5
arent 139:14	175:19	172:2 174:3 180:2	basis 28:15 171:13	117:11 167:20
argue 75:19	assumptions 15:1	180:21 182:8	Bays 103:13	179:8
argument 125:6	23:14,17 137:6	184:10	beating 45:10	bigger 28:18 168:16
Arizona 65:10	141:4,20 143:16	backed 11:14	becoming 119:8	bill 14:3 15:2 28:1
Armstrong 2:4	176:18,20 177:15	bad 55:1	beginning 28:8 94:2	104:16 105:1
22:12,13 124:12	asterisk 39:7	badge 79:14	begun 69:11	billion 92:16,17
125:22 145:15	attempt 11:21 34:1	baked 73:2,15	behave 119:11	99:17,18 133:12
152:19 153:10,13	attention 33:12	balance 24:8,10	behavior 119:11	141:10,12
154:7,8 172:6	108:12	Baltimore 4:9	behavioral 119:2,5	bills 7:17 9:17,22
175:21	attractive 10:7	bang 112:1	belief 78:10	10:7,13 11:17
array 40:20	audible 30:20	banning 74:21	believe 41:2 56:8,14	12:4 14:4 15:3
artifact 159:19	authority 78:7	bar 181:17	58:11 59:6 62:12	17:17 27:17,18
artificial 75:9	automatically 96:10	Barbecue 63:14	65:10,20 66:1,12	28:11,18 29:8,9
artificially 124:8	automobiles 139:14	barely 95:12	67:5 69:12 74:19	29:10,14,16 31:7
ASAP 2:12	available 6:20 17:16	base 48:7 54:6,7,18	97:15 147:17	bit 5:11 9:13 19:6
Ashley 2:4 22:12,13	40:18 45:20 48:15	82:7,10 84:18	152:1 160:3 163:9	24:22 29:1 35:14
28:7 124:12	48:16 50:22 51:14	97:5 102:20 123:6	166:1,6,11 179:7	50:9 51:18 55:8
125:15,21 145:15	56:10 61:19 82:14	123:19 124:19,20	180:22 184:19	59:19 70:1 76:13
152:12 153:3	84:19 93:18 100:6	125:19 133:2	185:5,13	89:20 91:19 97:8
154:7,8 172:4	105:12 122:12,13	161:6	beneficial 100:16	125:12 131:3
175:21	164:21 173:19	base- 81:14 83:22	118:10 180:6	black 27:4
asked 8:2 39:21	185:2	84:2 97:5	benefit 7:16 12:4	blast 173:18
45:4 96:21 141:2	Ave 1:7	base-case 37:9	27:12,12 113:1	blended 137:15
145:17 151:7	average 44:2 52:8	81:11,13 82:3	115:6 118:5 121:8	blip 75:18 76:1,3,4
169:7	82:17 107:5 108:6	83:9 98:20 133:11	121:9,13 122:15	76:20 78:2 104:12
asking 17:20 18:16	108:13 112:21	base-load 161:5	123:2 125:9	106:10
98:2 144:20	126:17 127:13	based 7:17 19:1	126:10	blips 76:12,15
aspect 55:18	133:22	33:18 41:15 42:3	benefits 14:10 73:20	bloom 185:13
aspects 173:14	avoid 114:12,19	42:11 49:2 50:2,3	74:1,8 115:14,20	blossom 155:16
assembly 148:14	115:7 121:5,8	50:12 51:3 72:1	124:2,3 126:1	blossoms 185:13
assess 128:6 156:8	avoided 122:9	77:12,12 78:10	161:17 164:3	blower 145:10,11
164:11 167:3	162:14	95:4 98:22 101:10	179:14	175:3
assessment 131:7	avoiding 121:11	103:17 108:4	Berkeley 2:15 3:15	blowers 109:2
assist 60:8	124:3	119:6 129:16,17	3:16 8:3 9:8 11:11	blue 79:4
associated 63:7	aware 10:19 11:14	129:19 133:6,8,18	16:14 35:19	blush 34:1
118:5 123:16	11:18 15:1,6	134:16 135:22	best 6:15 85:9 86:12	board 184:12
164:4	42:16 136:17	143:15 160:4	110:18 118:12,21	boom 52:20
Association 2:17 3:4	<hr/> B <hr/>	161:14 172:16	132:9,16 138:2,11	boom-bust 141:16
3:7 16:17 24:20	B 122:1 159:14	175:9	138:12,19,21	boost 63:21
54:12 63:14 69:22	168:14 170:20	baseline 42:1,22	141:4 142:1,3	bore 12:11
178:2	B(2) 147:17,18	72:20 73:15,16	149:11,12	Bornstein 11:11
assume 50:4 72:3		84:5 87:20 88:10	better 7:21 8:7	bottom 15:17 22:2,4

138:8	150:20 153:3,11	162:9	18:16 19:13	characterize 100:22
bottoms-up 151:19	153:18 154:7	calculates 80:18,20	Catherine's 20:4	Charles 2:20
bought 75:20	155:11,18 156:13	94:1	caused 89:4 91:17	Charlie 47:6,7 77:3
151:13	161:8,11 162:16	calculating 126:1	115:15 122:3	77:4 106:6 109:13
bound 132:17,18	163:3 164:5,8	calculations 65:14	CBECS 77:13	109:14 183:17,18
box 75:6 77:5	165:1,12,19 166:3	California 16:13	cell 155:9	chart 37:12 41:11
boxes 78:22	166:21 167:15	162:20	cells 154:12,13,22	51:16 53:14 54:15
BPM 153:7	169:4,14 170:9	call 69:10 75:9	155:8	56:2,9 66:8 77:19
break 78:22 79:12	171:8,16 172:3	76:15 85:3 113:9	Census 39:8,21	78:2 81:10 93:5
138:1 160:2 173:9	173:21 174:4	114:7,10	43:21 44:10 50:17	126:10
breakdown 65:19	176:15 177:19	called 93:17 112:18	52:17 56:12 129:5	charts 81:7
breaks 116:13	181:5 183:5,17	132:8	cent 57:2	chase 181:21
121:17	184:7,9 185:16	calls 183:4	center 97:10	cheaper 61:19
brief 79:16 174:14	brought 33:11	capacity 128:12	central 40:19 55:4	124:5,18
briefing 171:10	74:11 77:8 97:1	141:17 158:12,15	centralized 47:21	check 10:13 44:8
briefly 179:12	127:5 172:7	161:2,5,6 164:11	certain 31:8 46:9	180:21
bring 59:14 106:18	Brundage 2:10	164:20	58:19 63:8,9 86:7	cherry 155:16
172:6 182:6	23:19,20,20	capital 108:4,6	112:7,8 119:12	185:13
broad 130:9	BTU 61:20	129:15 130:1	154:2,16,22	chief 109:8
broader 107:15	BTUs 56:15 57:2	133:14	certainly 12:5 16:1	chime 6:18 28:5
Brookman 2:9 4:3,8	buck 112:1	capture 13:14 74:8	140:19 168:11	74:17
5:4,8 8:11,16,22	build 25:9,14 33:17	139:19 180:13	169:22 177:13	chimes 28:20
14:15 16:21 19:4	129:3	captured 17:11	cetera 121:6,17	choice 51:4 88:4
19:13 20:3,11	builder 68:1	60:15 130:13	159:16,16	114:16 120:3
22:3,12 23:18	builders 24:20	carbon 161:21,22	CFL 110:15	122:2 123:15
24:17 26:5,22	42:12 54:12 58:12	163:2 182:17	challenging 119:14	choices 18:13 96:21
28:3 29:17 30:1,3	58:13,16,20 62:18	careful 25:18 26:1	139:13	98:6 116:13 119:6
31:18 32:18 34:4	69:22	33:14	change 30:18 31:1	122:5 151:12
34:11 39:4 43:1	building 4:7 16:17	carefully 113:8	89:4 91:17 111:12	choose 24:1 36:14
44:3 46:8,15 47:6	71:20 160:1	Caroline 3:5	127:19 133:11,13	73:19 170:6
51:20 54:9,13	buildings 37:21	case 11:19 12:8,15	133:13 136:1	chooses 20:6
57:9 59:9,16 62:8	38:15	13:2,17 16:1,10	137:5 140:6	choosing 115:2,2
63:12 64:5,11	builds 73:1	17:3 19:3 23:6	143:11 154:18	125:19
65:6 66:5,14,16	built 56:19 61:17,18	45:16 48:7 54:6,7	160:4 175:4 176:7	chosen 41:19
66:18 67:13 69:8	71:20 159:18	55:19 65:15 73:18	changed 89:16	Chris 128:1 134:9
69:20 71:7,11	bulk 7:2	79:4 81:15 82:7	90:21 106:15	143:5,20 150:21
72:11,13 74:15	bullet 162:18	82:10 84:1,3,19	136:4 137:2	Christopher 3:10
75:4 77:3,17,22	bump 52:5 104:16	85:12 97:6 102:20	changes 17:17	128:3
78:3,19 79:11,19	burden 144:3	103:12 123:6,19	38:20 40:9,10	circa 61:6
80:3 84:21 88:21	148:18	124:19,20 125:20	94:8 145:20 149:3	circle 122:15 171:19
89:21 91:6 94:14	Bureau 39:21 44:10	126:16 127:17	149:21,22 162:5	172:2
95:8,12 96:3	50:17 56:12	132:16 133:2,4	164:17,18,19	Circular 90:1,3
100:1 101:4,16	burn 159:8	140:6 149:8,11,12	176:4,10	107:17 108:3
103:13 104:9	bury 61:22	159:2,9,13,14	changing 10:5	circumstance 144:6
106:6,10 108:8,20	business 25:10	161:3 164:16	161:5 167:6	cite 68:7
109:6,11 111:7	128:10 146:18,19	case-by-case 171:13	chapter 37:5,6	cited 90:1
112:11,16 119:18	buy 9:18 10:22	cases 17:6,9 31:13	82:14 84:20 86:2	cities 26:18
120:19 123:17	12:17 27:13	51:3 55:19 81:2	87:1 97:1,4 100:6	clarification 44:4
125:21 126:5	buying 9:20 12:2	82:8,10 156:8	100:18 102:17	85:16 93:14
127:7,11,21 134:3	124:20	159:11,17 169:18	105:6 155:22	clarify 43:20 54:5
134:6,14,18 137:7		cash 154:17	156:10 158:13	89:9 91:9,14
137:11 140:2,22	C	cash-flow 128:17	161:15,15 162:7	95:20 110:4 121:2
142:10 143:5,18	C 4:1	categorizing 114:9	164:9,22 165:4	125:11
145:2,6 146:6,10	calculate 37:14 81:1	category 34:18 64:9	167:1,13 174:17	clarity 46:12
146:15 147:21	81:3,4 154:16	98:3	characteristics	class 81:2 82:19
149:1 150:6,13,18	calculated 38:16	Catherine 16:21	50:16	114:4

<p>classes 37:2 83:6 84:18 92:9 Clay 3:7 16:22 18:2 18:4,9,12 19:12 19:14 32:19 120:22 122:2,14 123:7,10,22 124:7 125:4 178:1,2 Clean 94:17 95:2 157:2 clear 5:13 29:12 31:19 49:20 76:12 181:20 clearer 17:14 clearly 54:15 75:8 110:13 126:22 145:9 clever 11:12 click 14:18 clicking 142:12 climates 40:4 close 24:18 59:16 94:3 134:19 closet 69:2 closing 158:17 159:16 169:3 173:22 177:20 181:6 182:7 183:8 closure 177:22 CO2 93:12 157:10 163:21 coal 158:17 159:8 159:15,18 160:9 160:18 coal-fired 158:15,19 code 17:8 170:13 Cohen 2:5 coincidental 126:19 cold 56:16 coldest 120:10 collecting 164:2 color 139:6 combination 35:12 145:10,11 combinations 177:5 combine 81:6,13,16 82:1,6,9 combined 49:21 95:19 135:7,14 combining 144:12 combustion 174:16 come 8:8 26:14 37:17 43:21 50:6 50:12,19 57:20 77:15 81:14,17,19 82:4,8,11,15</p>	<p>83:11,13,16,19 84:2,7 99:3 126:8 133:17 151:3,20 179:1 183:14 comes 51:2 82:18 116:12 119:8 151:4 159:20 163:16 185:7 coming 22:5 32:6,8 80:4 91:13,19 94:16 107:14 172:9 comment 20:2 23:19 24:18 26:4 28:20 40:6,12 57:12 62:9 63:12 68:13 69:8,11 76:7,16 77:5 78:18 79:22 94:10 112:13 120:19 134:7 137:9 138:4 142:2 145:18 146:10 147:9 150:13 153:4,11 153:14 171:9 172:4 173:15,15 180:20 181:1 185:4 commentary 4:11 commented 176:11 commenters 22:16 comments 31:21 33:17,19 40:7 46:9 57:13 67:13 69:7 78:21 90:18 96:4,16 100:20 101:6,20 118:2 146:12 153:15 161:9 164:5 165:19 167:15 169:1 172:4 177:14 181:6 183:6 184:7,12 185:9 commercial 37:3 69:16,18 77:6,14 83:1 109:1,1,2 commitment 32:9 33:3 commoditization 138:6 common 23:14 130:7 community 32:21 compact 110:15 companies 61:10</p>	<p>150:10 Company 2:10 23:21 compare 45:3 124:17 127:13 compared 20:7 88:7 103:15 124:19 125:16,18 126:14 141:8 compares 103:12 comparing 122:9 123:12 124:7 comparisons 45:6 competing 7:19 39:22 60:3,7 competitors 147:4 complete 4:12 6:19 32:15 67:6 131:11 170:11,11 completed 39:20 52:1 completely 34:3 completeness 150:4 compliance 128:14 131:20 132:5 148:17 153:8 complicated 126:14 179:9 184:17 component 172:22 componentry 148:14 compress 138:9 compression 132:19 concept 77:7 102:6 concern 28:8 65:14 69:6 130:9,14,17 130:19 concerned 27:14 concerns 65:8 130:7 138:5 conclude 178:3 concluded 71:13 171:10 concludes 101:18 conclusion 71:17 176:7,8 condensing 17:9 18:5,18 34:21 48:4,9 49:5 62:20 63:8 65:19 68:12 68:21 74:12 75:10 75:20,21 76:9,11 84:9,14 88:10 100:15 102:21 103:7 104:4,13 109:19,20 110:11</p>	<p>111:5 121:7 122:10,19 123:13 147:2,6 167:22 178:21 conditional 153:8 conditioned 153:7 conditioning 112:3 137:4 conditions 42:4 conduct 100:7 128:22 confidence 46:1 confident 180:15 confidential 153:15 confirm 150:7 confirmation 145:7 confirmations 146:13 confuse 154:21 confused 19:15 47:8 confusing 107:11 Congress 163:6 connect 28:13 connected 63:18 conservation 1:2 4:5 36:7 80:13 100:5,17 161:18 164:13 167:4 conservative 72:9 101:12 consider 23:3 68:17 83:6 106:4 115:22 126:3 143:22 151:7 162:18 163:18 165:18 166:19 167:1 185:7 consideration 6:8 32:22 68:18 74:18 86:1,2 considerations 22:17 considered 19:8 23:1 40:1 71:14 75:3 85:18 87:6,7 87:8 88:10 104:22 113:13 114:19 115:7 118:1 133:3 144:1 151:10 152:10 177:10 181:22 considering 55:20 83:2 87:12 90:11 90:13 considers 36:8 105:11</p>	<p>consist 38:1 consistent 152:6 consistently 166:15 constant 47:4 52:14 55:7 Constantin 3:13 constrained 11:4 13:6,9,17 constraints 128:12 constructed 124:8 construction 36:9 37:15,18 38:10 42:14 43:22 44:15 50:3,15,15 52:6 53:1,17,21 55:13 56:4,5,11 58:17 68:15 82:22 constructive 184:12 construed 121:12 consultants 154:4 Consulting 3:11 consumer 20:19 27:6 51:4 78:14 82:8 89:13 100:10 100:11 108:16,17 109:16 114:15 121:3 122:4 123:13,14 124:2,9 124:19 151:11 167:5 consumer's 118:12 consumers 8:6 9:12 27:3,21 28:9 32:12 34:19 86:4 86:5 103:6 108:7 108:14 119:6,11 170:5 178:14 consumers' 28:11 118:21 consumption 81:14 81:17 82:17 145:12 contact 68:2 131:4 content 129:12 148:2 context 67:4 179:19 continuation 4:4 continue 45:11 115:10 184:21 185:4 CONTINUED 3:1 continues 96:12 103:16 continuing 46:22 141:22 contractor 120:4</p>
---	---	--	---	--

contractors 62:18 183:20 184:2,3,4	124:6,16 125:22 126:1,2,2 129:15 130:1 131:20 135:11 144:10,13 150:1 151:16 153:5 161:20,22 162:18 163:2 172:13,14,18 174:19 175:4,13 177:8 179:14 180:6	106:21 cover 12:6 31:11 178:7 coverage 171:4 covered 5:17 6:6 146:20 184:11 Craig 2:13 24:19 54:9,11 69:20,21 created 154:20 creating 141:3 credit 104:21 105:9 105:13,22 106:1,4 122:22 credits 75:11 100:11,12 104:15 105:12,14 criteria 37:6 87:7 87:16 182:3 critical 32:21 crude 55:2 cued 69:8 cumulative 81:15 81:18 82:4,8 144:3 curiosity 139:3 curious 52:4 67:20 85:12 89:4 91:17 current 48:7 95:4,5 105:12,22 currently 9:11 72:4 87:12 88:12 89:17 92:9 99:13 101:2 102:12,20 116:1 117:10 154:11 185:5 curve 11:6 12:12,15 12:18 13:10,12 66:13 78:11 curves 26:11,15,19 26:21 customer 55:2 customers 62:13 72:16 131:20 cut 181:21 cutting 117:19 cycle 92:8 136:10 cycles 136:16 cyclical 141:15 Cymbalsky 2:3 4:16 4:17 5:5,5 7:3,4,5 18:15 19:9,20 20:18,21 21:4,9 21:12,17 26:4,6 28:3,4 29:11 33:7 41:6,12,17,22 42:5,13,16,21	44:14 55:12 57:11 61:1 64:11,12,20 71:8 72:20 73:12 74:10 76:18 95:3 99:4 103:2,20 107:7,9,16,21 109:4,8 110:7 111:4,19 113:4,16 114:5,22 115:9,16 115:21 116:9,19 116:22 118:6,19 121:14 123:18 124:5 155:5,15 158:21 159:22 161:1 167:17 169:11 183:7,8 184:10,13,14	185:1,2,9 date 4:12 128:14 135:10 Dave 3:4,14 19:4,5 71:11,12 150:13 Davidson-Hood 3:5 day 22:18 106:16 120:9 days 179:1 184:15 DC 1:8 deal 4:10 113:9 119:14 170:12,13 debate 106:20 December 56:16 decided 76:8 decision 20:9 25:9 25:10 42:11 45:17 65:11 decisions 181:15 deck 8:10 decreased 157:16 decreases 36:19 94:3 110:6 132:3 decreasing 54:18 deem 114:14 deemed 113:12 deep 79:8 deeper 5:1 7:12 defend 136:15 deficiency 184:6 defies 125:9 define 119:13 defined 37:5,20 38:14 definitely 94:10 117:19 163:16,17 163:18 185:1 definition 54:17 definitive 57:13 degradation 21:2,8 degrades 21:19 deLaski 2:12 31:21 32:1 59:9,10,18 84:21,22 86:22 101:4,5 122:11 123:3,8 150:6,7 150:12 169:15,16 171:18,19 delta 70:13,21 73:17 111:13 124:17 demand 10:8 11:5 12:12,21 13:10 25:15,16 26:11,13 26:14,21 160:10 demographics 35:6
			D	
			D 4:1 D.C 4:7 Dale 3:16 8:2,21 9:1 9:3 15:4,7,13,16 15:22 16:7,15,19 17:13 18:3,7,10 23:11 26:3 damage 162:4 damages 162:1 Dan 2:5 Daniel 2:17 Darlington 2:11 176:16,16 darn 31:19 dash 12:19 data 11:14 39:8 41:8 42:17 43:20 43:21 45:4,4 46:2 46:11 49:3,6,7 50:3,17,19,21 51:10 52:17 56:12 58:1,1,3 59:5,22 60:7,17,17,20 62:2,5 64:5 65:9 65:17 66:2,8,10 73:15 77:13 78:14 78:16 83:12,14 98:22 99:2 104:2 104:5 106:19 113:14 116:20 117:1,7 129:5,6,7 129:16,17,18,18 129:19,22 131:6 152:19 157:3,14 160:15 166:11 176:12,12 178:20 182:20 183:14	

demolitions 38:18	devices 159:6,7,14	83:20 89:1,1,7,9	95:3 99:13 100:3	78:13 132:14
dense 132:22	160:8	89:10,15,19 90:3	100:13,20,21	135:15,18,19,21
Department 1:1,6	DFR 108:3 127:15	90:5,6,14,20 91:8	101:2 103:20	drop-in 168:13
2:1 22:20 23:21	129:17	91:9 92:14 99:17	108:21 109:4	dropped 23:9 39:16
32:2 33:4 39:8	dialogue 179:7	99:18 107:2,10,12	110:8 111:19	139:20
60:2,9 67:1,15	dictate 71:5	108:11 123:1	124:12 126:12	dropping 12:19
85:2 131:12	differ 9:13	129:15,22 163:22	130:12 132:9	39:12
169:22 178:4	difference 47:8 58:5	discuss 6:1 22:11	143:22 144:1,10	Drumheller 2:13
179:15 181:10,17	70:3,20 80:20	23:9 48:17 83:10	145:15 146:18	24:19,19 54:1,8
Department's	117:21 124:13	83:22 91:20	147:1 151:7	54:11,11 69:20,21
178:19	142:16 159:13	discussed 48:14	153:22 154:9,19	69:21
depending 31:2	differences 65:1	50:11 59:14 82:21	155:6 162:10,13	DSN 111:10
84:8 85:18 86:20	146:2	83:3 84:1 129:11	163:12,13,18,20	due 32:21 68:22
120:3,3	different 19:2 32:13	130:11 131:5	164:1,2,9 166:19	78:22 113:2
depends 97:8	37:1 42:10 43:10	discussing 50:18	167:8,11,18 173:4	119:21 133:5
108:15,16 120:4	53:15 57:18 63:16	87:5	173:5 175:4,13,22	148:1 166:7
160:12	82:12,20 84:8	discussion 59:12,15	176:2,4,6 182:8	167:12
depth 106:20	88:5 89:7,9 90:8	102:12 113:11	184:20	dug 7:12
describe 14:13	90:10,20 91:3,22	119:4 121:3	DOE's 145:1 154:10	DuraVent 168:9
130:21	92:14 93:17 96:8	128:11 130:15	doing 12:1 22:14	169:7 171:11,21
described 89:11	100:8 102:2,18	151:9,17,19 152:2	27:9 32:2,17 49:1	
123:21 172:13	117:10 120:13	178:4	66:1 70:15,18	E
describing 134:9	125:1,2 126:3	discussions 25:21	72:4 73:13 110:22	E 4:1,1
description 32:9	131:13 134:4	dismissal 155:16	115:10 124:21	earlier 53:20 75:7
164:21	135:11 142:4,5,19	disposition 42:14	145:21 158:5	82:21 83:3 84:2
design 144:9 146:1	142:20 151:9	distinction 71:1	171:16 174:7	87:19 103:4
designated 83:17	152:8,9,9 154:5	118:16	dollars 112:3,9	113:11 129:14
designs 176:22	154:17,18 155:6,8	distorted 27:14	132:2 140:8	141:15,22 144:22
detail 36:11,21 40:7	168:9,17 182:9,13	distribution 53:15	domestic 146:19	179:13
40:13 48:21 72:10	182:14	76:18 84:17,19	147:14 148:7	early 12:11 155:16
83:10,22 153:14	differential 69:5	85:10 98:21	149:4	ease 96:11
156:10 168:15	86:3 123:20 177:8	141:21	Don 23:18,20 24:21	easier 68:6
172:15	differentiation	distributions 37:10	Donald 2:10	echoing 79:3
detailed 45:19	130:20 132:11	83:9 84:1,4 97:6	dot 28:13	ECM 97:11
details 35:16 37:7	138:10 142:8	98:22	dotted 13:2	ECMs 177:3,4
37:11 48:14 51:13	difficult 11:4 45:11	dive 5:1	doubts 166:14,18	ECON 12:13
82:13 86:1,20	62:7 121:19	division 150:10	Doug 2:9 4:8 7:4	economic 7:13,13
93:2,2 97:8	difficulty 5:11	docket 8:1 32:6	128:2 184:14	8:4 11:21 22:22
100:18 102:17	digits 116:10	173:6,12,18	downhill 58:8	24:4 58:4 65:11
105:4,5 155:22	162:22	dockets 85:2	downward 130:3	70:16 72:17 119:7
161:8 167:14	dip 79:5,7	document 19:18	Dr 8:2,21 9:1,3 15:4	120:1 126:9
determination 15:8	direct 47:22 68:2	30:16 44:8 96:19	15:7,13,16,22	economical 122:7
determinations	89:3 128:12	120:12 157:15	16:7,15,19 17:13	economics 24:15
126:14,15	148:17	163:8	18:3,7,10 23:11	119:3,5,11 137:2
determine 70:2 81:6	direction 11:10 33:1	documented 172:16	26:3	economist 25:20
118:15 170:17	62:17 181:19	181:12	drains 19:8	economists 10:4
determined 70:9	directly 5:21 86:5	documents 168:20	dramatically 52:3	economy 90:11
83:4 161:21	133:19	DOE 2:3,4,5,6,7,8	drawn 26:12	ecosystem 162:5
determining 156:6	disaggregate 50:1	7:5 9:12 18:15	drive 85:10 119:11	edge 108:17
develop 37:9 74:22	disaggregated 49:4	19:17 22:13 28:4	139:15	Edison 2:22 14:21
developed 42:1 87:5	56:3	33:7 36:12 38:2,5	driven 75:10,11	39:5 43:20 111:8
91:22 101:12	disaggregates 36:22	38:18 41:6 55:12	102:8 118:11	119:20 165:2
development 61:12	disaggregating 50:2	61:1 64:22 65:9	driver 58:4	EEl 20:12 51:21
87:6 147:7	disappointments	65:21 71:13 75:3	driving 54:15 119:1	56:7 66:20 96:17
deviate 164:16	183:19	87:6,7,8,12 91:2	141:19 142:19	99:22 147:12
device 74:19	discount 9:13 82:10	92:2,9 94:7,22	drop 66:9,12 78:9	160:11

effect 18:21 24:10 28:15 57:20 83:7 83:7 100:22 102:7 128:13 131:19 132:3 135:13 140:17 144:7 145:13 157:13	145:11 electricity 41:16 94:21 98:5 115:2 164:18,19 165:7 eloquently 28:10 email 173:18 Emily 8:9 34:8 emission 156:1,6,9 161:13,14 162:10 163:20 164:4 emissions 155:21 156:1,3,4,5,18,20 157:1,5,7,9,15,16 157:22 158:4 159:10 161:16,17 162:2,8,15 163:9 164:2 182:17 emphasize 69:13 employment 6:3 128:12 147:15 148:1,7 150:15 167:2,4,10,15 encourage 163:1 169:22 encouraged 178:10 178:18 encouraging 178:19 179:1 ended 7:7 34:13 123:2 ends 79:15 energy 1:1,2,6 2:1 4:4 7:17 9:17,22 10:7,13,19 11:8 11:15,17,18 12:4 14:3,4 15:1,6 17:17,17 18:13 25:18 27:17,18 28:11,18 29:14,16 31:7 35:15 36:7 63:20 80:13,17,18 80:21 81:4,9,14 81:15,17,18,19,20 82:1,6,17 92:7,7,8 92:11,12,20 93:15 98:2 99:12,14 100:5,12,17 101:12 103:11 111:16,16,18 123:16 160:17 161:18 164:13,14 167:4,7,9 enforcement 130:18 engineer 109:8 engineering 5:16 92:4 129:8 131:8	149:20 172:8 173:14 174:2 175:11 176:18 England 61:17 enter 179:21 Enterprises 3:14 entirely 121:10 122:3 entities 78:6 environmental 6:2 150:15 157:4,18 157:21 158:6 environmental/e... 155:20 EPA 64:10 66:10,10 94:16 EPCA 165:14 equal 38:6 54:20 75:22 159:3,15 160:8 equally 26:10 equation 171:1 equations 154:13 155:2 equipment 7:15,16 9:18,21 10:2,22 11:20 12:2,6,17 12:20 13:1,8 14:5 17:21 21:3,5,14 21:19 26:17 27:9 27:11,13 39:14 47:17 56:1 62:21 63:8 68:20 69:5 70:8 71:9 72:1 80:22 86:3 120:2 151:17 152:15 170:16,18 171:3 174:19 175:18 Eric 2:6 Erica 15:17 erode 132:13 especially 39:9,15 39:15 40:2,3 56:11 58:17 68:15 104:18 153:6,14 156:17 161:9 166:7 espouse 107:17 essentially 91:22 109:22 119:5 131:10 136:1,9 140:18 144:9 171:10 estimate 43:4 101:12 129:22 130:3 156:1	161:17 163:11 estimated 94:20 124:15 147:14 156:21 162:10 estimates 80:13 90:4 92:20 99:3 162:6 estimating 164:3 et 121:5,17 159:16 159:16 EUC 162:19 evaluate 100:8 122:4 170:17 evaluated 175:14 evaluates 103:11 evaluating 123:9,11 123:12 162:13 eventually 24:5 174:19 Everett 3:11 30:2 134:18,20 everybody 4:17 14:19 153:18 168:20 181:7 exact 20:22 66:7 105:5 134:10 152:6 exactly 47:15 51:10 94:1 123:18 124:21 141:2 169:12 181:18 examination 101:10 example 47:16 56:1 84:12 85:5,6,19 85:19 86:11 98:8 98:10 102:10,19 110:14 112:2 139:22 142:5 160:16 170:19 excellent 177:13 execute 153:19 Executive 182:9,11 183:1,4,12 exhibit 85:9 exist 58:16 110:12 167:21 existed 176:9 existing 36:9,15 37:20 38:14 43:11 47:12 63:18 103:17 expect 25:6 60:12 60:16 118:10 expected 36:5 118:11 expenditure 167:6	expenditures 80:21 80:22 133:15 expenses 133:14 expensive 12:16 122:17,18 experience 63:7 78:9 experiencing 24:15 experts 9:8 16:13,16 68:14 expires 106:1 explain 45:7 126:11 explained 181:13 explains 165:17 explanation 31:20 35:8 explore 112:10 extend 148:5 178:5 181:1 extension 185:6 extensive 131:1 151:8 extent 59:21 60:6 77:1 160:4 extra 22:17 23:4 63:19 121:5 160:10 161:2 extract 24:3 <hr/> F <hr/> face 10:11 74:11 170:6 182:5 facetious 139:11 fact 10:12 11:12,13 17:21 34:19,22 35:1 45:14 54:19 103:6,7,8 115:11 135:2 136:20 139:21 143:8 155:9 159:10,17 160:7 170:21 179:14 184:1 factor 90:7 102:4,9 102:11 factored 102:14 factoring 76:2 factors 35:12 81:19 83:11,13 138:17 150:22 151:11 152:9 156:7,9 failed 34:15 fair 171:13 fairly 11:4 13:10 40:11 96:10 132:21 fall 55:15
--	--	--	---	---

familiar 62:10 89:22	findings 12:3	54:6	134:3 140:2 141:1	104:2 109:19,20
families 32:16	finish 4:18	form 116:2,16 176:6	142:10,11 145:8	114:3,13,20
famous 106:10	finished 80:10	formal 180:22	153:20,21 170:9	116:12,15 121:4,7
fan 76:7 90:19,21	firmly 65:20	former 31:6 61:3,13	170:10 171:20	121:17,19 122:7,8
97:10 109:2 135:4	firms 74:22	Forrestal 4:7	181:6 183:5	123:14 124:21
135:10,22 136:2,5	first 14:4,22 17:2	forth 42:3	frankly 116:10	126:16 127:18,18
137:3 144:17	27:2 33:9,15 34:1	forthcoming 106:19	117:2	128:7 134:22
145:9,10 153:8	35:3 37:14,21	forward 33:18	free 25:2 45:7	135:4,5,10,16,22
174:22 175:17	39:7 43:12 44:7	44:13 46:20 54:21	front 104:21	136:2,5 137:1,2
176:19,20,22	47:14 48:17 49:8	71:6 137:4 152:18	fuel 18:17 20:5,6	144:4,17 147:2,5
fans 144:4 177:9,12	69:14 77:5,7	179:11	40:1 41:12 42:3,5	150:10 153:8
177:17	88:17,19 89:9	found 100:16	44:15,16 55:18,20	165:3 174:15,22
fantastic 32:5	96:5 112:18 113:2	132:16 149:2	59:11 61:3,4,8,13	175:1,17 176:19
far 19:6 55:11 114:1	132:17 133:21	153:5 176:6	62:3,13 66:22	176:20 177:9,12
119:16 152:15	136:7 137:12	four 51:19 86:16,16	67:3,10,21 68:8	177:17
171:1	155:21 175:15,22	87:10,14 130:8	72:17 73:19 92:8	furnaces 1:3 4:6,19
fashion 176:13	fit 185:10	144:1,16	112:21,22 113:2	18:5 27:5,6 29:2,3
fast 30:6	five 44:1 46:19,19	fraction 29:7,10	114:11,11,13,16	36:4,5,14 37:2,3
faster 16:5	46:20 86:16 87:8	36:19 53:20,21,21	115:6,14,19 116:3	37:21 38:2,4,5,12
favorite 183:12	87:11,13 133:3	59:3,6 69:15 72:3	116:6,16 117:9,10	38:13,15 39:1,2
fear 120:22	147:16	86:4 125:13	118:5,8,10,11	43:4,5,6 45:18
Federal 105:14,22	fix 166:18	fractions 53:19 56:2	119:12,15 121:4	48:5,9 50:1,3,5,5
106:1 110:15	fixed 55:5 166:13	Francine 2:7	121:16 122:19	50:8 55:22 56:1
111:11 128:13	fixing 109:9	Franco 2:15 28:22	125:3 126:3	58:15 60:4,21,22
182:12	flat 57:4 86:18	30:11 34:9 35:10	156:21 164:19	63:15,15 64:2,10
feedback 6:12 32:13	137:17 183:13	35:11,18 39:18	170:13 179:14	67:19 69:17 74:21
69:18 72:10 131:1	flatten 76:19	40:5,22 43:5,14	180:5	75:1 77:6 78:8
133:19 134:2	flatter 78:11	43:18 47:2,15,19	fuel-cycle 92:12	79:9 80:14,15
153:17 172:22	flow 37:12 81:7	48:6,11 52:7,13	99:15 180:13	87:18 96:7,8 97:9
179:11	154:17	53:3,6,9,12,14	fuels 73:14	97:14 100:15
feel 45:7 139:15	flows 151:12	54:5 55:16 68:13	fugitive 156:4	101:1,2 103:15,17
175:16 179:22	fluorescent 110:15	69:14 71:18 72:12	full 14:3,7 35:5,6	104:13 109:1
feeling 179:17	focus 71:19	73:22 74:1,4 76:6	48:16 92:11 99:15	116:2 135:4
Feinstein 2:14	focused 36:1	77:11 78:17 80:8	164:21 185:13	137:18,19 138:3
63:13,13 64:7	focuses 135:6	80:9,9 85:15 87:2	full-fuel-cycle 83:12	144:5 146:21,22
FERC 160:15	folks 55:3 61:2	88:8,16,19 89:6	93:16 156:3	161:3 167:22
fewer 24:8	79:20 113:12	91:12,18 93:1,13	full-modulating	170:19
field 75:14 152:14	114:2 133:21	93:21 94:9,12	177:4	further 22:11 25:7
figure 80:5 102:3	148:17 157:4,18	95:15,21 96:16	fully 33:2 171:7	34:20 40:10 48:14
117:1	follow 19:13,14	97:4 98:7,20	181:12	51:13 69:7 70:1
figures 19:19 134:8	46:11 94:6 148:12	99:10,21 100:2	fully-modulating	76:17 83:10 94:3
134:11	155:5	101:17 102:16	177:3	100:18 156:10
filing 129:16,21,21	following 5:20 96:12	105:3,11,16,19	function 38:17	167:13 168:11
filings 129:5	174:22	110:4 125:10,10	48:18,20 50:13	future 11:10 18:20
fill 46:1,3	footnote 90:2,2	155:14,19,19	154:20	42:18 44:2 51:1
final 78:21 81:19	108:2	161:12 163:16	funded 11:9 167:19	75:7 77:20 84:4
89:3 94:17 128:11	forced 70:14 122:21	164:9 165:6	furnace 17:5,9	102:9,15 168:4,16
132:8 165:19	forced-air 63:15	166:22	18:18 19:2 20:7	169:20 182:5
172:4 184:7	64:2,10	Frank 3:6 26:22	20:22 34:21 36:9	184:5
finally 83:19 168:22	forecast 36:4 73:1	27:1 34:11 43:1,2	36:15,17,18 43:13	
financially 25:9 131:6	136:16 152:7	45:1,6,13 46:8	47:13 49:9,22	G
financially 118:22	forecasts 131:9	54:13,14 55:13	58:18 63:11,19	G 4:1 181:8
find 29:17 70:19	164:16	59:19,21 60:19	68:12 69:2 73:6	gain 148:9
156:10	forego 155:15	65:16 67:16,17	75:20,21 76:7	game 66:11
finding 180:12	forever 136:9	75:4 79:3 92:18	77:14 90:19,21	gap 46:1
	forgot 35:9 38:10	101:22 106:19	97:10 103:19	gas 2:17 3:4,7,9,12

4:19 15:3 29:2,3 36:4,5,14,15,18 37:2,3 38:2,4,5,11 38:13 39:1,2 40:17 41:8,15 43:6,13,17 46:18 46:22 48:4 49:22 49:22 50:3,4,5,8 55:22 56:14,17,17 56:19,20,22 57:3 58:3,7,18 61:5,18 61:21 62:14 63:10 63:18,22 67:19 68:9 80:14,15 87:18 96:6,8 97:9 97:14 101:1,2 114:12,17 116:2 116:15 117:4,10 120:5 137:18 138:3 146:21,22 147:2 157:9 160:21 162:2 165:3,5,9,18 166:1,8,12,16 169:5 170:13 174:15 175:1 178:2 180:9 general 7:11,21 13:7 28:12,16,18 129:2 130:11 generally 35:7 172:14,17 generate 164:15 generated 160:9 172:12 generation 156:20 158:19 160:14,14 164:12,18,19 generous 104:19 105:1,9 gentleman 73:4 George 90:17 Georgetown 90:17 germane 133:12 getting 5:12 14:12 17:6 19:6 27:11 60:20 97:19 112:5 141:21 142:6 160:12 182:3 give 28:22 35:9,16 44:7 56:6 62:19 63:19 65:18 77:9 89:15 137:21 138:15 178:6 179:11 given 32:21 103:15	104:1 112:4 114:9 115:13 141:14 149:22 180:14 181:1 gives 178:21 giving 12:22 glad 67:18 go 5:3,21 8:2 12:15 13:14,14 25:5,12 25:12,15,17,17 33:15,18 34:14 35:11 37:11 40:16 43:22 54:21 70:1 70:10 72:14 73:21 74:12 75:1,17 79:3,9,20 82:13 86:5 92:6,19 104:4 106:7 109:19,19 111:12 111:14,15 116:5 117:5 119:16 127:2 128:13 137:4,11 140:10 149:1 158:1 168:7 168:14,18 172:5 172:20 173:18 174:3 180:21 185:12 goal 181:17 185:1 goes 18:21 54:2 70:13 104:4 108:2 108:3 131:18 132:2 135:13 156:22 157:12 going 4:14,20,21 5:1 5:2,12 7:18 8:1 10:15,16 11:1,22 11:22 13:3,6,10 14:6 16:8,8 19:16 19:17 23:5,6 24:3 24:15 25:1,1,8,14 25:17 26:16 31:16 33:4 34:4,5,8 39:6 40:16 41:2 42:19 44:22 45:2,10 46:20 47:10 48:21 53:1 55:5,14,17 57:10 58:8 61:22 62:1,17,17 65:3 67:2,7,9 70:3,10 70:19 75:18,21 77:19 79:7,8 80:5 80:7,8 85:19,21 85:22 93:7,9,12 94:7,16 97:10 102:21 104:4,12	106:8 108:1,18 109:11 118:22 119:22 120:10,15 121:7,20,21 125:8 126:12 127:5,21 128:1 139:18 140:3 142:10,20 143:20 146:15 152:17 153:5 154:1 155:13,15 155:20 157:19 158:1,14,16,18,20 159:5,10 160:9,18 160:19 163:12,14 168:14 169:8 170:6,6 173:10 174:14 175:22 176:1 177:8,11,15 177:16 179:9 180:1,17,20 181:9 182:2 184:9 185:3 good 4:3 16:22 31:19 32:13 35:18 60:10 73:7 78:7 84:22 85:1,9 90:18 102:16 110:18 112:16 118:14 132:9 136:20 138:2,11 138:19,21 140:1 141:4 142:1,3,4 144:20 145:1,6 159:4 183:10 Goodman 3:3 88:22 129:14 134:15 174:1 goods 167:6 gotten 32:13 49:11 172:22 179:7 government 100:13 128:16 grade 37:6 granted 31:11 45:21 graph 54:20 84:18 gray 139:6 great 4:10 88:9 172:15 greater 125:7,8 159:9 178:16 green 6:11 greenhouse 162:2 Greg 79:1 Gregory 3:12 GRIM 128:17 129:1,9,12,15	131:2 134:21 136:8 153:22 154:12,19 gross 131:15,17 132:17 133:8 137:17 grossly 166:12 ground 64:17 184:11 group 3:8 11:10 22:1 44:6 71:2 73:11 79:2 90:9 93:4 107:22 groups 63:1 90:14 grow 86:19 guess 19:15 22:9 35:5 47:9 55:13 67:7 77:1 88:3 97:18 98:13 105:22 111:1 113:20 115:21 117:22 139:18 142:12 144:19 152:11 175:13 182:14 guessing 58:19 109:17 gut 179:17 guys 23:2	110:13 happy 44:12 155:6 hard 13:15 23:8 26:14 124:16 134:11 136:16 139:19 182:5 harder 26:20 Hariharan 2:8 harm 125:7,8 hate 61:22 head 116:8 141:2 145:3 headed 181:18 heads 144:22 health 162:4 hear 6:17 9:3,4 14:19 32:9 34:8 57:13 80:8 95:12 112:15 128:1 134:1 185:8 heard 56:8 69:14 80:3 114:18 123:11 124:1 130:6 178:12 184:18 hearing 142:2 178:5 180:19 Hearth 63:13 heat 36:17 40:21 47:12,12 56:1,19 59:22 60:21 66:22 67:1 114:14 120:14 121:21 123:15 heating 31:11,12 35:3,15 37:6 39:10 40:1 42:14 44:15 47:21,22 48:1 55:4 58:19 67:8,9 120:10,17 159:6,7,14 160:8 heating-dominated 40:4 help 60:1 152:21 181:21 helpful 61:11 64:14 67:14 117:9 143:19 145:22 146:12 161:9 169:11 helping 60:2,9 103:8 helps 37:8 Henry 57:3 Herse 77:18,18 78:1 78:5
---	---	--	---	--

<p>Hi 80:9 125:10 134:20 hidden 154:13 high 27:17,17 45:22 58:3,6 74:11 101:7,9 102:13 114:20 115:7 117:17,20 120:16 124:16 147:22 148:2 172:17 181:17 high-income 10:17 high/low 134:13 higher 10:1,11,20 11:18,20 12:6,20 13:1 17:21,22 34:19 35:14,14 50:10 63:2 66:13 78:14 86:10,19 87:15 88:7 90:14 97:11 98:8,11 104:4,6 108:18 113:5 114:12 120:15 122:20 123:16 124:15 125:18 132:13 133:7 139:21 higher-efficiency 70:7 101:1 111:14 175:3 higher-efficient 73:5 highlight 173:17 historical 37:18 38:16 48:19 50:7 51:7,9 52:9 58:2 79:4 historically 50:9 history 40:2 78:11 105:8 Hodges 2:16 146:7 hold 41:1,1 178:5 home 4:19 7:16 24:20 31:6 36:4 37:3 38:3,13 39:2 39:10 42:11 49:22 50:3,4,5,8 52:6 54:12 58:12 63:21 68:7,22 69:1,22 80:15 87:18 88:5 88:6 96:6 97:9 101:2 137:19 146:22 147:5 homeowner 109:18 homeowners 107:15 homes 30:8 31:4</p>	<p>39:13,14,15,20 40:3,21 41:19,19 41:20 42:11 51:22 52:1,8,10,11,19 53:4 56:19 61:17 67:21,22 68:3 88:11 homework 174:8 honest 179:11 hope 6:14 60:21 168:16 hoping 166:13,17 hour 157:6,6 183:10 hours 178:3 house 116:3 household 9:15 116:11 households 9:6,15 9:17 10:6,8,10,17 10:18 12:7,9 13:11,21 14:9 18:1 38:1 74:6,7 houses 38:19 housing 13:22 14:6 16:7 20:8 25:14 29:4,7,13,14 30:7 37:16 38:19,20 44:10,10,11 50:6 50:17 51:1 52:17 96:6,6 HPBA 2:14 64:13 65:4 HSPF 120:15,15 Hub 57:3 huge 52:6 65:9 66:9 66:12 69:4 70:19 75:15,18 94:18 104:16,18 145:12 human 162:3 hurdle 107:11 hurricanes 56:15 Hurst 137:13,13,22 138:4,14 139:2,5 139:10,13 148:12 148:13,19,22 hyperlink 22:10</p> <hr/> <p style="text-align: center;">I</p> <hr/> <p>Id 144:19 idea 27:20 35:3 58:13 ideas 20:2 22:21 identified 100:13 102:1,3 130:8 146:19 181:2 identify 128:9</p>	<p>ignore 67:4 ignoring 142:12 158:6 illogical 125:6 illuminated 6:11 illustrate 9:9 imagine 134:11 impact 5:21,22 6:1 14:4 16:2 20:8,18 23:3,22 24:13 25:2 28:9 32:11 35:21,21,22 67:6 67:21 72:6 80:11 80:12 94:18,19 100:3 103:1 109:15 110:1 112:12 120:1 124:15 127:22 128:4,7,16 144:8 146:18 147:14 148:6,7 150:8 151:2 156:19 158:12 163:9 164:10 165:5,9,18 165:20 166:1,7 167:2,3,8,15 175:14 176:3 178:14 183:11 184:2 impacted 71:9 74:13,14 98:9 125:13,15,16 impacting 141:3 impacts 9:5 14:1,2 17:17 24:2 33:13 80:13 95:1 100:4 128:9,20 135:7,14 141:4 142:9 144:15,16,16,17 147:10,10 149:18 150:2 158:7 164:11,15 167:10 167:11 180:13 182:14 184:3 implement 176:22 implementation 24:2 implemented 154:14 implications 12:3 implies 131:19 important 6:7 49:20 51:11 71:1 93:14 118:19 impose 73:3 imposed 121:10,12</p>	<p>125:7 impossible 17:7 improve 62:15 improved 86:8 153:6 179:12 Improvement 181:8 improvements 175:10 ImSET 167:9 incenting 109:18 incentive 8:5 78:12 85:7 incentives 59:2 75:12 102:13 109:21 111:12,14 142:17 include 43:15 48:19 72:21 76:15 108:22 170:1 175:2 178:13 182:18 included 28:1 65:13 72:18 73:9 175:4 183:11 includes 37:7 53:16 53:18 70:6 131:6 156:3,4 182:16 including 37:1 53:4 53:7,11 65:11 100:9 129:4 156:3 162:2 income 7:15 28:12 28:16,17 incomes 13:22 incomplete 32:4 41:3 56:9 106:5 inconsistent 67:12 71:21 incorporate 95:6 incorporated 95:7 131:2 168:5 170:4 173:1 incorrectly 103:22 increase 10:9 13:4,8 13:16,17 14:6,7 15:12 71:16 81:3 102:22 132:4,6 135:12 144:13 148:1 149:12 153:5 156:18,19 158:9,11,14 160:19 increased 14:5 31:15 71:15 106:16 148:2 increases 12:5 16:5</p>	<p>132:10 144:14 156:21 increasing 57:5 158:4 increment 111:18 incremental 136:22 144:18 162:1 indefinite 136:2 Independence 1:7 independent 149:17 indicate 99:8 indicated 46:17 63:6 104:3 150:22 indicates 63:2 indicator 134:13 indirect 167:1,3,10 individual 96:4 170:3 171:21 172:21 indoor 137:5 industry 25:14 68:5 74:22 128:8,18,19 129:3,9 130:9 131:4 132:14,20 133:1,22 141:10 141:12 144:19,20 inelastic 13:13 inertia 60:14,15 74:10 inferences 62:6 infinitely 108:18 inflation 16:5 info 173:8 inform 152:21 informal 180:18 information 17:15 19:21 23:5 45:17 45:19 64:13 65:5 78:7 92:21 116:6 117:12 119:13 129:4 152:14,16 152:20 173:4,5 177:13 178:17 Ingersoll 175:8 initial 45:21 174:9 initially 177:6 inner 26:18 inner-cities 16:9 innovative 74:19 input 35:22 78:16 80:11 163:16 164:1,2 inputs 37:14,16 48:12,17 50:14 81:10 82:1,1,13 82:15,16 129:1,7</p>
--	--	---	---	---

129:10 131:9	investment 25:6	jumps 52:3	130:1,6 133:20	largely 12:7,9 140:7
INPV 91:10 128:20	136:21,22 141:6,7	June 94:17 185:5,8	137:14 138:5	144:21
133:6,8,11,13	141:18 142:14	justification 96:13	141:11,15,16,17	larger 28:11 63:17
135:16,18,21	investments 132:6	justify 138:18	141:22 142:7	140:16
136:4 140:6	141:9,10 142:20	139:21	143:13,15,17	Larry 3:16 8:2,8,22
insane 158:16	146:3	<hr/> K <hr/>	154:14 158:14	Lastly 51:2
inside 16:9	investor 25:11	Kathryn 3:7 32:18	160:1,4 165:13,14	lasts 136:3
install 41:20	invite 69:10 147:9	120:21 177:22	165:15,16 167:19	latest 49:6
installation 29:21	involved 25:21	178:1	169:8 171:2,11,22	Lau 3:10 128:1,2,3
42:9 68:19,20	involves 128:11	keep 10:3 20:13	172:9,16 173:19	134:10,17 135:1,6
69:4 74:6,9 120:1	irrational 141:19	24:6 57:10 61:7	177:2,3,13 179:4	136:15 137:8,16
130:10,13 151:10	issue 9:7 27:16	110:10,19 142:10	179:20 181:19	138:1,16 139:4,8
151:18 152:9,15	33:17 78:21 107:2	143:20 154:22	182:1,3,10,13,14	139:18 142:22
170:7	113:21 117:22	180:16 185:8	182:15,20,21,22	143:4,21 146:17
installations 37:15	119:14 151:6	keeping 25:16	183:2,21,22	147:16,22 148:8
41:15 124:16	172:7 183:22	keeps 110:18	known 107:11	148:16,20 149:7,9
126:17	184:1	key 9:10 10:2 129:9	128:17	149:13,15 150:11
installed 18:19	issues 6:5,6,6 129:2	130:7,8 151:6	knows 10:13 153:19	150:16 151:4
38:15 43:13 75:16	129:11 130:8,8,22	173:12	Krebs 3:8 8:13 22:1	152:5
82:3,9 83:15	145:16 179:8	kilowatt 157:6	22:1,4,8 23:8	laughing 136:12
151:1 164:11,20	180:15 181:2	kind 7:6 8:3 24:21	33:20,20 44:5,6,6	Laughter 44:20
171:5,12 184:4	iterate 179:10	27:14 35:8 52:4	44:13,18,21 74:16	64:19 76:5 109:10
installing 125:20	<hr/> J <hr/>	55:5 57:12 61:15	74:17,17 89:21,22	136:13 138:13
installs 63:9	J 2:18,22 3:12	63:20 68:4 69:2	89:22 106:7,8,11	139:12 145:4
instances 71:15	jailed 123:1	70:1 71:5 76:11	107:8,13,19 108:1	146:9 174:6,11
institute 2:22 14:22	January 54:3	85:9 87:3 89:15	108:10 126:5,7	law 95:5
39:6 111:9 119:21	Jim 3:9 65:6,7 79:2	93:10 104:21	127:8,13 165:13	Lawrence 2:15 3:15
157:1 165:3	93:4 108:20	105:12 106:22	169:5,5 171:9	3:16 8:3 35:19
instructive 60:1	162:16,17 163:3	110:5 117:5	181:7	laws 95:4
intelligence 62:16	165:21,22 166:3,5	138:11 159:4	<hr/> L <hr/>	LCC 12:10 14:9
intend 70:21 173:2	jiving 93:11	163:10 171:1	Lab 8:3	22:15,18 23:4
173:6	job 66:1 149:6	172:9 173:11	labeled 37:15	36:12 50:12 51:4
intended 119:13	jobs 61:7	179:18	labor 148:2,17	65:13,15 73:20
161:22	Johanna 2:8	know 15:22 22:9	167:11	82:15,18 83:17
intention 32:10	John 2:3,16 4:15	23:9 28:10 29:17	Laboratory 2:15	84:2 87:15,16
180:8	5:5 7:3,5 18:15	33:22,22 34:2	3:15,16 35:19	89:10,13 112:21
interagency 161:21	28:3,4 33:7 41:6	35:5 45:3,4,7,9,9	lack 125:8	113:5 117:15
162:6	55:12 61:1 62:10	46:5 57:16 58:12	LaClede 3:8,9 22:1	118:4
interest 118:12,21	64:11 71:11 72:14	58:15,22 59:3	44:6 65:7 79:2	lead 32:14
interested 65:18	74:15 77:17,18	61:16 62:1,15	93:4 165:22 166:5	lean 116:5
70:12	95:3 99:10 103:20	64:14 68:10 70:2	169:5	learned 184:17
interesting 78:15	109:4 110:8	70:10 74:18 75:8	lag 24:5	leave 59:10 118:2
137:8	111:19 123:17	75:15 85:4 89:4	laid 60:10	180:3
interpreting 113:14	125:15 137:11,13	90:9,13,15,15,22	lamp 110:16	left 4:22 34:6 80:7
intersection 12:21	141:21 146:6	93:9 94:1,16,20	landlord 17:3 20:6	81:12 158:17
intervening 55:14	148:13 152:12	97:2,19,20,21	20:13,17 21:15	168:11
interview 172:20	155:6,12 183:7	98:15,15 99:5	landlord's 20:10	Lekov 3:15
interviews 128:22	184:10,13	103:4 104:12,13	landlords 10:21	length 69:1 130:11
129:11 130:3,6	joining 5:10 6:13	104:17 105:5	11:18 13:5 17:16	Lennox 77:18
133:20 134:16	79:21 96:4 108:21	106:12,14 107:3	24:4,7,8 26:8,10	137:13 148:13
151:7	joke 55:1	107:16 108:5,11	26:16	Leslie 79:21 112:13
intro 137:8	July 94:18	108:14,15,18,19	Lapato 2:17	112:14,17 113:6
introductions 5:3,7	jump 18:16 23:11	110:10 117:1,18	large 60:6 74:6,9	113:20 114:7
intuition 11:13	75:15 182:8	119:3,9 120:8,14	116:14 117:5	115:5,13,18 116:5
invest 25:12	jumped 87:3 112:21	126:9,13,15,19,20	141:8 147:4	116:17 117:22
investigated 100:3				118:7 119:2

less- 17:10 lesser 121:16 let's 20:5 35:6 48:17 50:14 54:22 75:16 79:12,13 81:8 91:20 92:6 98:14 102:2,11,12,19 106:18 112:13 116:11,12 121:17 134:6 137:11 140:14 143:21 161:12 177:19 182:4 185:7 level 45:22 52:9 62:16 63:3 73:17 84:5,6,6,6 85:11 86:20 97:13,22 98:1 111:4,11 113:17 117:6 132:5,10 138:20 138:21 140:4,10 140:11,18 141:14 142:13 147:22 151:18,18 158:2 172:17 levels 52:13 84:7,10 87:4,8,8,13 88:11 92:1 112:8,9 132:7 133:3 138:20 139:20 143:8 162:4 175:20 liabilities 179:21 life 21:22 136:1 life-cycle 4:22 5:17 19:10 27:9,10,14 29:20 34:18,22 73:20,22 74:1 90:22 126:17 127:14 182:4 lifecycle 90:8 151:15 179:13 lifetime 50:4,11,12 83:5 light 6:11 109:9 lighting 110:14 112:2,4 liked 63:4 likewise 79:6 limit 101:13 limited 98:22 162:3 line 12:19,19,22 14:19 61:21 76:2 140:14,20 linear 110:5 lines 13:2 54:20	61:19 link 23:6 44:13 links 48:15 168:1 listed 168:13,20 170:19,20,22 listings 129:6 literature 26:13 101:11 171:22 little 5:1,11 6:11 9:13 11:1 17:13 19:6 24:22 26:10 27:13 28:22 35:14 43:3,8,9 50:9 51:18 55:1,1,8,11 59:19 70:1 76:13 89:20 91:19 97:7 108:12 125:12 131:3 139:11 144:11 160:17 168:18 169:16 living 9:16 10:10 29:4 35:13,14 load 161:6 loaded 8:10 loads 35:15 local 120:5,5,5 location 70:17 lock 154:22 163:12 locked 154:3,6,12 154:15 155:9 locked-in 131:10 lofty 181:17 logic 118:4 125:9 long 20:14 23:15 40:2 89:13 108:5 108:13 130:15 long-term 7:17 24:10,14 26:12 longer 45:18 look 5:14 24:11,12 33:14 48:9 54:22 58:4,20 59:1 60:16 62:3 65:21 66:8 69:1,7,9 72:10 75:17 76:16 85:4 86:14 87:1 89:19 90:21 91:3 94:7 102:6 106:12 106:13 111:22 116:19,22 117:9 134:12 135:14,15 138:5,6 142:18 143:17 147:21 152:1,22 158:9 160:15 162:19 163:1,14 166:14	169:7 173:20 182:12,19 looked 10:12 34:3 57:2 64:14 67:20 68:10 109:16,21 143:9 146:17 149:16 150:22 156:18 163:7,10 177:8 looking 10:14 20:1 27:12 34:20 39:7 41:4 44:19 49:8 52:5,16 56:9,12 58:2,14 67:19 68:16 73:2,16 77:12,14 88:3 93:19 96:18 134:22 136:6,19 140:12 142:5 145:9 147:13 150:9 157:12 159:12 165:6 166:10 168:9 169:12,17 177:1 182:16 183:19 looks 48:3 54:19 57:17 103:9 171:6 175:10 loop 170:11 lose 117:18 losers 24:12 87:16 losing 143:2 loss 117:19 132:19 142:22 losses 149:6 162:3 lot 4:11 5:14 11:22 21:17 23:15 28:7 31:13 39:16 40:9 46:12 57:5,6 60:12,14 68:6 70:15 82:15 90:20 97:11 104:1 105:2 105:4 111:10,21 115:18,19 138:14 138:15,17 141:14 141:17 142:17 143:5 151:16 157:13 166:10 184:11 lots 33:16 loud 59:20 love 117:12 134:1 low 7:15 40:11 43:8 57:1 108:15 117:4 148:3 low-cost 170:7	low-income 7:10,20 8:6 9:6,12,15 10:10,17 12:7,8 13:20 14:8,11 18:22 19:22 20:8 26:18 27:3,21 28:9,11 32:11,15 178:14 lower 9:22 10:6 11:16 12:4 13:22 16:2 58:18 97:13 120:2,6,8,11 123:5 132:18 133:6 135:11 149:7 162:21 lower-cost 14:4 lowering 120:17 lowest 138:20 lowest-cost 20:16 lump 159:8 lunch 155:16 156:15 <hr/> M M 2:10 M&G 168:8 Magazine 49:9,13 49:18 51:12 magnitude 167:12 main 9:14 37:16 48:17 170:4 maintain 111:4 131:17 132:1,12 maintained 21:8 maintenance 17:22 31:8,14,15 82:2,6 major 38:1 48:1 54:15 90:22 128:18 173:8 178:13 180:15 making 60:5 122:16 122:17 136:21 176:11 manager 5:6 mandate 183:16 mandatory 100:5 manufacture 144:9 manufactured 68:3 68:7 96:6 131:7 137:19 150:8 manufacturer 6:1 78:5 100:11 127:22 128:4,9 129:5 130:2 131:11 133:18,20 134:1 135:11,12	140:13 146:21 147:2 151:2,14 176:21 178:15 manufacturers 21:18 60:5 68:3 68:11 85:6 86:8 99:2 110:19 128:8 128:10,21 129:10 130:2,7,12 131:17 131:19,22 132:4 132:11 134:7,12 135:3 138:6,17 146:20,22 147:5 147:11 148:4,18 151:6 169:18 170:3,12 171:22 172:21 175:18 176:11 manufacturing 27:6 112:12 142:16 169:17 172:11,18 172:20 173:9 mapping 61:4 maps 92:1 March 4:9 margin 131:15,17 132:17 133:9 137:17 143:3 marginal 73:2 156:8 160:14,16 166:11,12,19 margins 142:3 mark 3:8 8:12 22:1 33:20 44:5,6 74:15,17 89:21,22 91:6 103:13 106:8 108:8 126:5 127:11 142:5 165:12,12 169:4,5 171:8 181:6 market 13:15,16 25:12 36:8 37:1 37:13 40:10,11 42:1,13 46:18 47:3,4,20 50:15 50:16 53:15 56:11 60:12 63:9 64:9 66:1 71:5 72:21 74:19 82:20 83:18 84:3,8,15 85:5,21 85:22 86:7,13,15 97:12 99:6 102:8 102:18 103:3,6 104:2,3,5,6 106:3 110:11 130:10,14 132:18 141:5
---	---	--	---	--

147:8 151:22 168:17 market/technology 131:7 marketing 138:15 145:20 marketplace 42:4 markets 7:14 8:5 57:18 60:15 85:8 96:7 132:11 162:19 163:1 178:22 182:20 markup 131:13,16 132:3,8,10 133:5 137:15,17 140:1 markups 130:21 131:11 132:12,13 132:19 139:21 149:21 match 49:10,14,18 51:9 76:14 material 4:10 5:14 31:18 145:20 171:21 173:1,12 178:8 MATS 157:12 matter 154:20 max 97:16 98:8,15 max-tech 87:13 maximum 87:14 95:16 McCabe 2:18 McClive 2:19 McCrudden 2:20 47:7,7,18 48:3,10 77:4,4,16 109:14 111:1,6 183:18 mean 19:16 27:15 56:21 68:2 102:11 107:7,18 110:5 139:8 145:8,20 159:3 160:21 184:22 meaning 12:7 means 132:3 172:1 measure 162:1 meet 97:12 103:19 112:8 160:10 175:20 176:21 177:11,18 meeting 1:1 2:1 4:6 4:9,18 5:2,13 6:2 6:4,7,15,20 8:15 8:17,18 19:11 22:15 28:7 32:8 34:16 41:7 45:5	59:13 64:15 89:11 90:16 101:6 152:13 154:1 172:8 174:9 176:5 185:17 meetings 106:21 168:6 182:11 184:16 meets 97:22 megawatt 157:6 megawatts 158:15 158:18 160:18 member 61:9 members 45:16 46:6,10 57:6 59:21 60:20 membership 180:21 memory 34:15 mention 38:10 54:6 mentioned 8:13 28:7 53:20 72:15 87:19 117:3 152:12 154:2 160:2 mercury 94:19 157:12,14,15,16 157:22 161:7 162:14 merit 182:21 methane 156:5 method 50:2 81:1 100:7 156:6 161:20 164:14 methodology 59:12 60:10 70:2 77:12 128:15 methods 72:3 181:9 181:12 metric 128:20 Meyers 15:17 MHGF 96:13 153:8 MIA 6:1 91:13 109:5 126:6 128:6 128:11 Michael 2:18,21 microphone 22:3 29:18 46:16 59:17 134:19 150:19 166:2 microphones 6:22 middle 58:7 66:11 Midwest 64:2,3 Mike 140:22 142:11 143:18 Miller 90:19 million 51:18,19	52:9,16,19,21 53:11 56:15,19 57:2 133:18 134:1 135:17,19 140:8 141:9,11 159:5,6 160:7 millions 140:8 mind 10:3 57:19 119:9 185:8 minimize 161:7 minimum 34:21 minute 158:8 minutes 79:13 mismatch 179:18 missing 120:22 misspoke 53:3 misunderstood 124:1 mix 164:18 mixture 84:11 85:16 87:19 mobile 4:18 36:4 37:3 38:3,12 39:2 49:22 50:3,4,5,8 53:4 67:21,22 68:22 69:1 80:14 87:18 88:5,6,11 97:9 101:2 146:22 147:5 mode 91:21,21 95:10,17 96:18 99:13,13 149:16 149:16,17,19 150:3 156:12 model 5:21 35:20 36:3,8,22 37:12 38:8 43:19 51:4 61:12 71:20,20 73:8,9 85:3,13 86:12 89:13 128:16,17,19 130:4 131:3,4,10 131:11 132:8 133:19 151:13 154:1,16 164:14 167:9 172:13,18 modeled 131:13 models 88:13,14 99:1 132:9 Moderator 2:9 modified 100:7 moment 85:1 129:13 137:21 180:3 monetary 161:17 162:1 164:3	monetization 161:13,16 163:9 monetized 162:14 163:19 money 25:1,10 28:14 monthly 28:12,15 28:16,17 Moore 3:9 65:7,7 66:7,15,17 79:2,2 93:4,4,19 94:5,13 162:17,17 165:22 165:22 166:4,5 moot 106:22 more- 17:8 more-efficient 9:18 10:1,22 12:2,17 more-energy-effic... 17:4,5 18:6 morning 4:3 5:9,12 8:10 12:11 16:22 35:18 114:18 motor 96:6 97:8 145:10 153:7 motors 175:3 177:1 move 6:2 31:22 34:5 63:10 71:6 96:3 96:13 109:11 112:11 126:5 127:21 146:15 155:13 161:13 169:2 174:20 177:21 180:8 moved 104:3 moves 78:14 moving 48:11 100:2 148:4 150:14 179:3 MPC 135:11 144:18 MPCs 132:3 172:15 172:19 173:5 MTA 131:6 multi-family 30:14 53:4,8,11 Multi-Housing 16:18 multi-stage 175:20 multiple 41:4 42:3 124:22 138:20 multiplier 28:15 multistage 175:2 Murphy 46:14,14 46:17 62:10 72:14 73:9,18 74:3 150:19,21,21 151:15 152:11	muted 6:10 <hr/> N <hr/> N 4:1 Nadel 101:8 NAHB 2:13 73:4 name 4:8 6:21 30:1 46:12 128:3 national 2:15 3:15 3:16 5:21 8:3 16:18 24:19 35:19 35:20,22 54:12 62:20 69:22 80:11 80:12,13,17 81:8 81:20 84:5 87:10 92:7,20 99:12 100:4 126:16 142:8 167:3 nationally 104:18 157:10 nationwide 116:14 natural 62:14 63:10 113:17 114:16 117:4 136:10 180:9 naturally 72:22 73:14 90:12 nature 65:17 141:16 153:16 154:15 Navigant 2:11,19 2:21 3:10,13 91:10 128:4 153:19 176:17 NDA 153:19 Neal 79:21,22 80:4 112:12,13 necessarily 25:13 149:22 154:19 necessary 153:1 need 22:10 45:6 46:6 71:5 72:19 137:6 143:17 147:7 172:1,2 177:18 179:9 180:20 181:3 182:22 needed 170:8 needs 22:10 68:8 71:6 75:19 170:15 negative 33:13,22 140:17 148:7,9 149:5 negatively 140:7 neither 147:6 NEMS 61:12
---	---	---	---	---

NES 80:18 81:6,8	100:9 102:2	28:5 30:5,22 44:1	56:18,21 57:9	optimistic 60:20
net 80:19,20 81:21	non-renters 24:15	49:10,20 51:8,9	63:12 66:14 73:1	option 18:6 20:6,13
82:11 92:13 99:16	non-switching 74:2	51:12,13,17,17	75:4,13,16,17	20:16 41:4 58:16
123:2 128:19	74:3,4,5	57:5,7 81:22 88:4	78:21 79:11 80:4	58:17,20 68:12
133:2 143:11	non-weatherized	88:5 93:9,18,21	86:22 88:18,20,21	71:14 114:13
150:9 167:11	4:18 29:2,3 36:4	99:8 105:5 108:4	94:5 95:18 96:15	121:15 138:12
never 10:13 20:14	36:14,15,17 38:2	126:8,10 127:3,15	101:16 102:5,11	170:7
nevertheless 183:3	38:5,11 39:1 43:6	140:20 141:6,7,18	104:9 105:18,21	options 41:5 132:15
new 8:20 17:2 24:2	48:4 49:22 55:22	141:21 155:8	109:11 111:1,6	order 22:10 94:8
25:14 31:18 36:9	67:19 80:14 87:18	158:3,10,13	112:20 113:20	152:5 182:11
36:10 37:14,15,16	88:6 96:8 97:14	162:21 163:13,15	115:5 119:18	183:1,4
37:18,19,20,22	101:1 137:18	168:5	120:21 127:7,21	Orders 182:9
38:3,6,7,10 39:10	138:3 146:21	NWGF 96:11	137:7 143:14,18	183:12
39:13,15,20 40:3	147:1 174:15		145:6,6 146:12,15	organization 33:11
41:18,19,20 42:11	175:1		148:10,19 149:15	organizations
42:14 43:11,22	nonregulatory	O	150:12,13,14	100:14
44:15 46:18 47:8	111:3	O 4:1	151:15 153:18	original 28:6
47:9 50:2,15,15	Nope 150:13	Obama 106:13	155:11 161:10,11	ought 181:21
50:17 51:22 52:1	NOPR 71:13 96:19	observation 78:9	164:8 165:19	outer 101:13
52:6,8,9,11 53:1	101:8 145:17	79:10	166:21 167:17	outline 129:8
53:16,17,20 54:16	147:13,15 175:7	observed 38:7	169:14 170:9	outlined 155:3
54:17,19 55:13	182:7	obvious 126:9	171:16 172:3	output 128:18
56:3,4,11 58:4,17	normal 21:22	obviously 127:1	173:21 177:19	156:7
61:17 63:9 67:22	north 35:2 37:4	172:15 173:13	182:19 183:5	outputs 80:16
68:15 78:7 82:21	49:15 53:18 54:3	176:12 183:15	184:7	outreach 183:20
85:11 96:7 100:10	56:3 83:2 84:14	occur 136:10	OMB 83:20 90:1	184:1
112:10 124:20	87:20 88:1,5	occurred 43:16 61:9	91:3 107:9,17	outset 46:13
158:19 171:11	92:21 104:18	occurring 73:14	163:6	overall 12:6 37:13
175:14 178:13	140:5 142:13	occurs 20:5 113:17	on-line 79:22	38:9,22 64:16
181:2	143:9	180:5	once 71:20 183:14	76:14 167:3
newly 64:9	northeast 16:10	odddity 34:17	one-sided 25:22	overestimated
NFGC 169:6	39:9,11,16 40:3	OEMs 109:3	ones 31:3,3 69:10	166:16
NIA 5:21 89:13	northwest 64:2,3	off-line 172:2	70:6,8 71:4 89:17	overestimates
93:7,17 100:8	note 79:19 173:18	offer 85:7 86:12	98:16 127:4,4	166:12
101:19 152:7	notes 147:1	147:6,6	139:2,5 179:8	overestimating
nice 5:10 61:8	notice 4:5 46:2	offering 100:14	ongoing 108:22	65:15
185:12	144:1	offerings 147:4	online 5:11 44:11	overlap 98:5,6
night 106:15 120:8	NOX 157:10 162:10	office 106:13	96:5 108:21 153:4	144:4,11
nine 67:3	163:5,21	oh 18:7 53:5 64:20	open 173:14 179:4	overlapping 98:4
Nineteen 174:4	NPV 80:19 81:6	91:12 95:21 96:1	184:20	overseas 148:4
no-impact 72:18	87:14 92:16,17	106:12 136:17	opening 8:14,16	overstated 94:21
73:11	99:12	140:8 172:4 183:6	operating 82:5	overstatement 55:9
no-impacted 73:6	NRDC 157:15	41:16 43:17 46:18	83:16 131:21	overview 4:15 5:15
nodding 144:22	nuclear 160:20	46:22 47:16 55:2	132:1 137:20	overwhelm 71:4
145:3	number 39:13	58:15 61:15,18,22	operation 175:2,9	owner 47:9,9 54:19
non-apartment	43:16,19 46:21	63:22 68:9 157:9	175:20	owners 7:16 14:1,7
30:9	58:11,11 77:6	oil-fired 39:14	operations 134:12	14:11 16:17 30:12
non-condensing	81:4 88:6 90:7,9	oil-fueled 63:19	opportunities 112:1	30:13,18 36:9,10
48:4,9 49:5 65:20	90:10 93:8 101:7	okay 5:8 16:3,20	112:10	36:13 37:19,20,22
68:21 74:21 75:1	116:7,10 117:2,11	21:12,20 22:8	opportunity 8:18	38:3,6,7 43:11
75:10 76:9,10	120:1,4 122:9	27:6,19 29:22	44:22 45:14 112:6	53:17,21 54:16,17
84:15 121:3 122:8	125:11 133:6,8	30:6,21 31:3,5	121:1 178:3,6	
122:11,19 123:14	139:20 147:3,9	32:18 34:4 40:14	opportunity,again	
124:20 178:22	150:22 151:20	40:22 41:12 43:7	6:4	P
non-public 29:12	159:5,18	47:18 53:5,10	opposed 28:1	P 4:1
non-regulatory	numbers 7:18 27:22	54:16,18 55:3,4	140:17 163:2	p.m 185:17

paper 22:2,4 23:16 101:8,15	pen 14:18	80:16 99:19,21	107:1 117:13	PRA 183:21
papers 14:18 23:15	penetrations 102:18	108:13 120:10	125:11 135:8	preceding 135:9
Paperwork 183:21	people 7:14,20	180:20 181:1	138:8 158:21	precipitous 78:9
pardon 103:16	18:13,22 27:16	185:5	159:11 160:9	predict 182:5
181:6	28:14 29:3,12	permanently 24:3,6	162:18 168:3,20	predicted 60:13
parse 70:20	56:22 60:13 68:14	person 25:11 75:20	183:14	predicts 60:11
part 9:10 14:11	70:13,21 71:3,9	122:17 136:7,11	pointed 43:20 117:7	preliminary 7:3
19:8 47:20 49:10	72:3 73:5,6,7,13	136:12,15	117:15 125:15	126:12 127:3
51:16 55:6 86:7	74:14 79:9 107:10	personal 59:4,5	pointing 19:18 91:8	premise 113:10
105:9 107:14	110:19 115:1,16	perspective 67:22	points 67:14 102:22	premium 132:12,13
113:14,19 114:14	115:18,22 116:1	118:14	168:1	132:19 138:18
115:1,3 119:21	116:15 117:3,16	pertains 91:9	polar 157:8,11	140:1
162:7 166:22	118:1,17,17	perverse 180:4	159:3	present 80:19,20,21
171:2 175:22	125:13,14 136:11	phase 129:3,7,9	policy 181:15	81:21 82:11 92:13
176:1 181:8,10	136:20 156:15	phases 129:3	polygon 14:17	99:16 126:15
182:17 183:15	157:21 180:8	Philadelphia 3:12	pool 55:15	127:15 128:19
184:10	per-unit 81:3,3	phones 6:10	population 7:11,21	133:2 143:12
partial 14:6	132:1	physical 172:17	14:12 28:13,16,19	150:9
partially 106:5	perceived 119:10	physically 17:7	54:17	presentation 17:1
PARTICIPANT	percent 13:21 21:6	pick 4:20,21 34:5	populations 55:5	presented 7:9 19:10
22:7 78:4 94:11	29:1,4,5,6,7,8,9,9	160:3,6	portion 128:11	19:16 22:15 31:19
145:5 159:20	29:12,13,14,15,15	picked 159:1	position 61:13	33:6 89:18 92:13
174:7,10	30:6,7,10,11,18	pictures 168:8	154:11	103:4 125:5
participate 6:14	38:9,11,12,22	piece 21:2 33:5	positive 4:11 33:13	163:21 168:6
participating	39:2 43:6 50:9,10	55:11	33:21 115:14	179:15
184:15	57:16,17,19 69:17	pieces 21:5,14	117:15 118:4	presenting 19:21
particular 28:14	77:10,15 83:7,20	pile 59:18	119:16,22 178:10	20:2 35:20 128:4
33:12 61:10,17	83:21 84:5,5,6,6	Pinto 2:7	179:16 180:16	presently 71:21
65:10 113:21	85:20,22 86:1,11	place 55:14 70:5	possibility 9:20 10:6	presents 48:12
136:18 144:3	86:16,18,19 87:14	110:20 111:21	10:21 11:2 47:17	55:21 164:9
166:8 178:12	87:16,17,19,20,22	113:18 173:6,10	47:19	preservation 131:15
182:11	88:1,12,13 89:2,3	places 35:14 65:10	possible 14:20	131:21 133:8
particularly 13:9	89:12,14,17,18	Plan 94:17 95:2	20:14 34:15 93:2	137:16,20
67:22 134:8 137:1	91:15 92:14,15,15	plant 156:4 157:21	135:15 145:18	President 106:13
153:22 181:8	92:16 96:14 101:3	158:12,15	154:3 181:16	presume 34:5
parties 24:12	101:9,11 102:21	plants 157:16,18	184:22	pretty 9:12 10:18
parts 169:17	103:6,9,15,16,16	158:1,17 159:16	possibly 18:22	22:20 31:19 45:8
pass 127:9 131:19	104:14 107:3,7	159:18 160:18	121:12	45:22 52:14 54:20
132:5	108:19 113:1,10	play 26:1 51:3	posted 127:8	57:3 86:17 118:7
passed 17:18 88:9	125:17,20 127:19	119:3,9 151:3,4	potential 10:19 55:3	126:6 145:13
path 185:4	129:22 130:4	playing 151:22	55:20,22 67:20	153:21 183:2
Patio 63:14	133:11 138:8	please 6:8,10,21	75:2 86:6 98:10	prevents 155:9
pause 9:2 34:10	139:22 140:9,20	16:21 26:5 28:21	115:19 128:12	previous 66:21
42:7 80:2 114:10	157:5,7,17 158:1	40:6,12 42:6 45:7	130:13 140:17,19	77:19 89:11
129:13 147:19	163:22,22	59:17 65:6 69:6	146:13 147:10	168:21 180:19
174:12	percentage 27:20	79:14 80:1 127:10	149:3 158:10	previously 151:1
pay 7:14,16 9:17	27:20,22 28:17	134:18 150:18	164:13 167:20	152:10 172:13
10:1 11:20 27:22	43:3 55:21 57:19	165:12 177:22	168:10 176:3	price 12:22 13:2,16
29:7,9,9,13,15	58:20 63:2,8,9	183:7 185:9	potentially 27:11	57:3 72:1 86:3
74:12 108:11	87:15 99:6 102:22	plus 12:20 93:17	40:12 68:18 72:5	117:4 166:12
121:6 122:20	116:4 125:13	podium 8:9	72:7 86:12 140:6	price-driven 68:4
payback 31:2 182:3	131:16,18 133:9	point 9:14 10:2,5	140:11	prices 35:15 56:14
paying 15:2,3 31:3	percentage-wise	13:5 20:4 24:9	power 92:1,5 94:17	56:17,18,20,22
peak 6:10 75:9	64:22	27:19 32:3 33:1	95:2 109:2 156:3	57:1 58:3,7,18
155:18	period 36:6,6,20	33:20 43:9 66:8	157:16,21,22	120:13 123:1
	37:22 46:19 49:16	66:12 72:8 106:22	158:12,15	166:19 173:13

pricing 63:7 163:1	184:3	provided 6:16 51:10	quantify 128:20	raised 22:16 32:7,7
primarily 37:22	profession 61:3	82:20,21,22 93:16	quantitative 131:1	130:7,8,8 131:1
48:7 68:22 69:2	profile 129:4	100:18 102:17	181:11	151:1,6
75:11 104:14	profit 131:21 132:1	116:7 162:7,8,12	quarter 57:21	ran 90:20
145:9,11	137:20	providing 64:13	question 14:22 16:3	Rand 175:8
primary 49:12	profitability 132:14	PSC 153:6,6 177:7	17:20 34:17 39:6	range 50:8 51:17
68:17 69:6 71:18	program 5:6 103:1	PSCs 177:4	39:21 44:21 45:1	89:15 97:1,3 98:3
80:11,16,18 81:10	162:20,20	public 1:1 2:9,17	48:22 51:20 54:18	101:8,9,10 105:19
82:16 92:7,10,11	programs 100:13	3:4 4:8 13:21 14:6	57:11 62:19 66:15	108:10 130:13
93:15,22 99:15	102:11,13 103:5,8	22:14 29:4,7,14	76:2 79:22 88:3,9	133:4,5 148:8,11
128:15 165:9	105:17 109:17,18	30:6 101:6 129:7	88:9 89:1,6 91:11	ranged 39:14
prime 128:6	110:12,19,20	172:7 174:9 176:5	93:14,15 95:9	ranges 98:4
prior 78:11 92:9	111:10 162:21	178:5 180:19	102:4,16 103:14	ranging 100:14
probability 95:1	project 44:2 50:22	181:12 184:16	103:14,21 104:7	rapidly 17:18 161:5
probable 74:20	61:13 84:3	publicly 45:19	104:11 105:3	rate 11:5 16:5 24:7
probably 7:18 12:9	projected 37:16	publicly-available	108:20 109:5	52:1,22 89:1,2,10
14:12 47:21 60:12	38:9,20 46:20	129:4	110:5 112:19	90:5 91:9 99:17
75:2,12,13 94:2	51:8,17,17,22	pulling 174:13	113:2 115:13	99:18 104:19
101:13 108:14	52:1 79:4	pump 19:2 36:17	116:18 119:3	120:6,8 129:15,22
118:14 129:17	projection 75:7	56:2 59:22 114:14	123:3,5 126:13	rates 9:13 11:21
133:21 140:9,20	projections 37:17	120:14 121:21	129:14 134:5,7	25:4 82:11 83:20
143:10,11 147:7	38:21 40:10 49:2	123:15	136:6,14 137:14	89:7,9,15,19 90:4
156:15 182:15	50:21 57:3 76:10	pumps 60:21 66:22	140:4 141:2	90:6,15,20 91:8
problem 9:10 18:4	77:20 81:11,12	67:2	148:12 150:16	92:14 107:2,10,11
180:11	82:3,4 84:1	purchase 100:15	152:12 153:4,22	107:12 108:11
problems 24:21	102:10	122:10	174:2 175:6,15,16	120:5,5,6 163:22
156:17	projects 52:8	purchased 151:12	175:19 176:17	166:11,16,17
procedure 175:7,10	propane 61:20	purchaser 27:7,9,11	question/comment	rating 176:14
175:14 176:2,4,5	63:18 165:9	purchases 100:13	8:12	ratings 176:6,8,9
process 170:12	propane-fueled	purchasing 125:17	questions 14:14	ratio 94:20
172:20 179:4	63:22	purpose 19:15 23:7	17:1 22:17 31:20	rational 113:9
181:8	proper 24:11 122:4	36:3 128:6,8	51:5 56:6 96:4	114:8,11 115:22
processes 184:21	properly 130:12	155:22 161:16	125:12 126:11,20	rationale 118:4
produce 181:13	properties 25:5	164:10 167:2	172:10,12 178:7	rationality 115:19
product 27:7 36:13	property 162:4	purview 178:19	178:13	raw 45:4 106:19
36:16 37:2 51:2	proportion 28:12	push 18:13	quick 14:22 35:8	react 62:20
67:10,11 71:15	147:4	pushing 102:13	43:3 51:20 88:3	read 107:17,17,21
72:4 81:2 82:19	proposed 4:5 92:3	put 8:1,9 9:8 17:4,8	104:11 106:7	108:1 181:10
83:4,6 84:18 85:7	95:7 100:17	17:10 18:6 23:5	107:2 126:6,7	182:16
86:9 91:16 98:3	130:19 161:18	114:3 127:15,16	153:22	reading 30:6 113:19
111:14 129:6	167:4 176:4,10	139:15 150:4	quiet 14:20	real 11:2 51:20 62:5
130:14,20 131:6	proposes 143:22	154:5,18 157:14	quite 14:14 52:3	89:1 104:11 107:1
140:14 142:21	proposing 92:2,10	160:16 168:1	126:22 161:5	181:10 184:6
144:10 146:20	99:14 110:18	174:10 178:13	165:15	realize 55:10 183:2
147:2,6 148:21	135:18 163:20	179:10	quote 158:3	realized 63:3
167:7	proprietary 65:17	putting 28:19 47:13	quote/unquote	really 10:2,14 17:14
production 131:7	178:17	PVC 170:21	124:3	23:13 25:18 27:19
135:11,12 141:16	protect 178:17			30:6 33:9,14
141:17 142:18	prove 66:2			39:12 45:2 52:3
148:4,17 149:4	provide 12:16 46:11			54:18,21 68:1
161:7 162:3	46:11 49:14 59:22			71:14 78:17 90:21
172:11 173:10	69:6 87:22 93:1			96:9,13 98:1
products 36:19 60:5	134:11,12 152:16			106:15 108:12,15
67:12 102:14	152:21 155:2,7			115:6 120:4
110:14 138:7,18	161:15 173:4			124:16 136:5,20
169:19 170:4	185:9			140:13 141:3
		Q		
		quads 92:11,12	R 4:1	
		99:15,15	R&D 133:14 141:14	
		qualify 128:9	Rachel 2:14 63:12	
		qualitative 129:2,11	63:13	
		130:22 134:13	raise 6:5,16 11:1,15	
		181:11	11:21 13:6,7 25:4	
			26:16 32:5 85:1	

142:19 145:12 156:22 168:22 180:19 181:16 182:10,21 184:11 reanalyzing 163:14 reason 4:13 16:10 21:7 98:2 106:18 117:15 119:22 154:15 175:3 reasonable 114:15 151:21 reasonableness 100:21 152:4 reasons 70:18 154:21 rebate 110:20 112:3 rebates 100:11,14 109:16 110:16 111:2 rebating 103:5 110:20 rebound 83:7,7 100:22 101:3,14 rebounding 90:11 recall 37:5 66:21 151:8 recapturing 136:20 recast 78:15 receive 7:16 69:11 124:2 172:4 received 79:19 receiving 180:22 recess 79:16 recession 58:7 reciprocal 26:9 recognize 27:16 171:3 recognizing 45:21 138:16 recollection 171:20 recommended 170:2,2 recommends 90:3 reconcile 72:2 reconciled 151:21 record 6:20 33:18 56:13,17,20,21 58:6 66:20 79:18 145:2 171:15 RECS 29:2 50:19 77:13 redesign 135:3,5 redo 140:19 reduce 24:7 reduced 130:19 161:17	Reduction 183:22 reductions 156:2 161:14 162:10 163:20 164:4 reevaluated 45:21 refer 101:14 reference 156:8 referenced 164:16 references 48:13,13 48:15,16 51:15 77:5 referencing 15:17 referring 62:12 71:22 89:8 105:13 refine 129:1,12 reflect 115:1 117:14 170:5 reflected 10:20 85:17 115:12 reflecting 26:12 134:8 reflects 103:7 refresh 33:9 regard 63:14 72:9 76:16 176:3 regarding 98:10 101:20 153:8 173:8 regardless 159:10 regards 22:18 172:8 172:10 173:9 176:2 REGI 162:19 region 160:13 regional 84:11 87:9 130:17 142:9 regions 37:4 83:1 regulate 183:3 regulated 27:7 64:9 111:21 157:2 regulating 182:19 regulation 8:7 95:6 135:5 136:5,8 regulation.gov 127:9 regulations 95:5 128:13 134:22 135:4 158:6 regulations.gov 127:16 regulator 183:3 regulatory 5:22 35:21 100:3,4,10 108:22 109:15 110:2 128:16 136:16 144:3	183:10 rehash 130:16 Rein 2:16 reiterate 90:16 101:5 180:18 related 23:22 97:7 relates 53:19 91:12 relationship 75:9 relative 28:16 29:22 60:3 121:15 123:20 133:11 141:7 149:18 158:19 relatively 7:10 13:11,12 78:7 release 94:6 released 78:8 160:2 relevant 19:22 26:15 relied 22:5 rely 131:4 remain 111:2 147:8 176:14 remains 19:20 160:7 remark 183:9 remarks 4:15 8:19 32:20 169:3 173:22 177:20,21 remember 12:13 16:12 31:6 56:13 66:7,22 89:14 117:8 163:7 remodel 38:1 48:2 removed 38:19 renewables 160:21 rent 10:9,15 12:4 13:3 15:8,11 24:4 26:16 28:2 rental 7:14 8:5 16:5 25:4,11 29:5,6,8 29:10 31:4 rentals 30:7 renter 31:6,15 renters 7:15 10:7 11:8,14,15 14:7 15:1 24:1,14 25:1 26:18 27:21,22 32:4 renting 10:18 13:22 30:9 rents 10:20 11:1,15 13:7,7,13,14,18 16:4,7 17:18 24:5 24:10 25:17 repair 71:14,16	72:5,7 82:2,7 repaired 21:9 repairing 20:14 71:22 75:1 repeatedly 32:3 replace 20:15 36:15 71:16 75:21 79:9 116:15 122:7,17 122:18 replaced 75:19 123:13 replacement 18:20 43:4,5 47:9 48:19 56:3,4 57:18 64:1 96:7 130:10,14 replacements 36:10 38:14 39:1,2 53:17,22 82:22 replacing 31:10 116:2 report 44:11,11 163:6,7,10 reports 162:9 represent 107:4,5,5 107:15 128:18 represents 29:13 38:8,11,12 reproduced 181:14 reputation 139:8 request 77:5 99:1 154:9 173:3 180:18 181:1 185:6 requests 100:20 164:6 173:7 require 84:9 97:10 103:18 142:14 required 18:19 62:20 65:21 91:3 133:16 153:7 175:2 182:22 requirement 54:3 requirements 103:18 104:8 112:7,7 170:16 requiring 167:22 research 6:3 167:18 168:2,4 research/side 6:3 residences 35:7 residential 1:3 37:3 69:17 77:14 83:1 144:4 resource 60:18 93:22 Resources 11:9	respect 119:21 176:11 respondents 118:9 response 30:20 63:4 106:3 146:14 164:7 167:16 173:7 178:12 184:8 185:2 responses 63:6 responsible 31:7,8 31:10,14,16 responsive 22:20 responsiveness 180:14 rest 35:1,4 37:4 53:18 56:4 83:2 87:21 88:1 92:22 103:10 140:5 restrictions 17:8 restrooms 79:15 result 21:14 56:15 74:20 104:14,15 106:4 119:15 132:13 180:4 resulting 156:2 161:18 162:1,11 164:12 results 62:21 64:16 89:18,19 92:6 96:2 99:12 100:19 132:21 149:15 156:9,11 161:14 163:19 164:17,22 167:5,10 181:13 resume 5:19 79:13 80:7 resumes 79:18 retail 151:17,18 rethink 7:18 137:6 retired 160:19 retirement 38:17 48:18,18,20 50:13 157:21 retires 76:19 retrofit 70:17 168:17 retrofitted 157:19 157:20 return 24:7 25:5,10 reventing 121:5 124:4 revenue 151:14 179:21 revenues 141:8 review 23:7 40:13 181:7
---	--	---	---	--

reviews 161:21	41:1,11,14,18	82:19 83:6 91:15	says 71:13 90:2 96:5	150:2 151:21
revise 130:3 152:22	42:2,8,15,18 44:7	113:13 129:19	108:3 149:3 171:4	154:13 155:1
163:17 177:15	44:9,9 51:21,21	137:1,3,4 144:7	174:22 180:10	158:3,4 159:15
183:15	52:11,15,16 53:5	166:20 174:22	182:18	166:9,13,18
revising 169:22	53:7,10,13 56:7,7	175:17	scenario 18:17 85:3	167:13 168:11,19
revisit 65:3	57:22,22 64:17	rulemakings 66:21	85:5,13 86:9	173:12 182:20
RIA 5:22 103:9	66:18,19,19 88:2	rules 64:18 66:11	105:12 110:18	185:9,12
104:20 108:21	88:2,14,17,20	117:2 121:10	120:13 122:1,2	seeing 29:22 31:1
Richard 46:14	94:15,15 96:17,17	135:7,15 141:9	124:6,8 131:16,16	65:9,19 93:8
Rick 62:8 64:13	97:17,18 98:13	144:7,8,11,15	131:22,22 132:4	117:8 124:18
72:13 120:19	99:19,22,22	run 104:19 108:10	132:16,17 133:9	126:9 141:10
150:18,20,21	104:10,11 105:7,7	120:13 131:10	137:15,17,21	142:7 152:14
ridiculous 153:6	105:15,18,21	132:15 155:8	scenarios 91:4	158:10,13 178:20
right 6:10 8:15 9:19	111:7,8,8 119:19	rural 64:1	103:10 124:14,22	seek 69:13
14:12,15 15:3,4,9	119:20,20 147:12		125:14 127:14	seeks 164:1,2
15:14,19 20:9	147:12,18,20	S	131:13 133:5	181:11
25:2 28:8 29:18	148:6,10 149:2,2	S 2:13 4:1	137:14 154:17	seen 15:20 19:20
41:2,11 43:7,7	149:8,11,14	S-1 12:19,20	155:7	23:13 33:8 46:21
45:20 46:3 53:2	156:13,14,14	S-2 12:19	Schryver 3:4	71:15 104:5
54:2,8 58:7 61:7	160:11,11 161:4	safe 185:11	scope 5:16	110:13 133:21
73:8 76:20 81:11	161:10 163:4,5	safety 170:16	scratched 141:1	141:9 143:10,11
85:8 93:20 95:11	165:2,2,8	sake 150:5	se 25:12	148:3 157:14
97:3 102:4 104:17	rough 133:22	sale 168:12	sea 162:4	171:20
104:20 115:9	140:19 182:2	sample 29:21	season 35:4	SEER 67:2,2,2
116:1,22 118:6,15	roughly 65:1 129:18	Samuel 2:19	SEC 129:5,16,21,21	sees 27:4
123:4,7 124:14	129:22 133:12,18	saturation 50:5	second 23:11 51:16	segment 155:14
130:16 140:3,8,15	135:17,19 137:17	saturation 37:18	56:6 75:6 128:8	segmentations
141:19 142:17	140:14 145:22	43:22 50:16,20	133:1 140:11	86:10
148:8 152:3,5	147:22	77:15	175:16 176:1	segments 36:9 37:1
153:10 155:18	round 136:9 145:19	save 25:1 28:14	secondary 68:8	37:13 53:16 82:20
158:17	145:20 160:6	111:16,17	secretariat 169:6	83:18
rise 10:9 13:18,19	row 133:1,10	saved 25:17	Secretary 182:15	selection 73:19
52:6,8	Roy 3:3 20:4 88:22	saving 98:1	section 72:18 91:11	144:2
rising 162:4	88:22 91:7,7,14	savings 10:20 11:8	101:18 147:16	sell 85:8
risk 90:7	95:9,14,18 134:15	11:15 14:3 15:2,6	182:8	sells 147:2
Rivest 2:21 140:22	134:15 174:1,1,5	34:18,22 65:13,15	sector 167:8	send 44:12 173:18
141:1 142:15	174:8,13	80:18,19 81:4,9	security 159:19	sends 153:14
143:2,13,15	rule 33:12 65:12	81:20 90:22 92:7	see 4:20 5:10 7:8,19	senior 34:22 35:13
robust 32:11,15	66:1 70:4 74:20	92:7,8,11,12,20	9:19 10:14 11:7	senior-only 34:18
33:5,10 108:10	75:3 83:8 89:3	93:16 98:5,9,10	12:18 13:1 18:7	35:6
181:9	90:20,21 94:17,19	98:12 99:9,12,14	29:11 30:16 33:15	sense 32:12 49:13
rolled 77:2	95:7 113:1 114:2	101:13 103:11	34:20 41:13 42:6	57:15 70:11,16,22
rolling 85:21	114:15,18 115:15	111:16 112:21	45:1 51:8 52:2	71:3,4 72:18 77:1
rollup 85:17	118:17,18 121:12	113:5 126:17	56:2 57:7,7 71:16	77:9 140:13 143:7
rooftops 109:1	122:3,6,16,21	127:14,18,19	72:13 76:11 78:12	178:21
room 1:9 6:12,17	124:9,11 128:14	164:14	79:7,13 86:15	sensitivity 90:4
21:18 46:9 61:2	131:12 135:7,10	saw 9:11 71:19	92:10 94:7 95:4	94:22
79:14 80:5 139:22	135:16,18,22	118:8 144:22	99:9 102:18	sentence 182:18
Rosenstock 2:22	136:1,2,3 144:4,5	saying 11:7 16:12	104:18 110:11	separate 145:14
14:16,20,21,21	144:17 157:12	18:18,21 21:10,21	117:5 124:15	146:2
15:5,10,14,19	176:20,20 177:9	22:21 24:22 53:11	125:12 127:17	separating 92:21
16:3,12,16,20	177:12,17 180:6,6	57:15 73:6 96:20	132:10,14,19,21	series 60:6 182:10
20:11,12,12,20	180:8 181:8 182:7	110:11 116:11,14	133:1,4,10 134:6	seriously 181:22
21:1,5,11,13,21	182:22 184:2,17	122:14,16 126:2	142:22 143:21,21	serve 76:19
30:4,4,15,21 39:4	185:3	158:11 160:17	144:15,17,22	service 161:2
39:5,5,19 40:14	rulemaking 4:5 7:8	161:1,4 175:8	145:2,5 148:11	services 167:6

<p>set 26:21 33:9 74:14 98:22 99:2 137:6 142:4,6 sets 181:16 setting 165:14 seven 91:4,4,5 107:8 severity 147:10 Severn 11:11 sexy 139:15 share 44:14 47:3,4 62:22 86:15 104:2 110:10,11 shared 64:21 shares 42:1 84:3,8 84:15 104:6 141:5 shift 85:3,4,13,18 85:20 shifting 167:5 shifts 85:5 shipment 35:22 36:8 45:17 50:7 73:15 81:22 101:21 102:10 113:14 116:20 117:1 141:20 149:22 178:20 182:20 shipments 5:21 35:20 36:3,22 37:1,8,12 38:7,9 38:16 40:8 44:22 45:3 48:18,19,20 48:22 49:1,4,9,12 50:8,10 51:11 59:22 60:3,7 62:6 70:3 72:20 73:1 75:7 76:8,10,14 79:4 80:10 81:9 81:13 83:3,5 102:15 114:22 115:12 117:6,14 129:8 131:8,9 141:20 142:6 143:16 151:5,11 152:6 154:18 shipped 36:5 70:6 80:15 shipping 60:17 Shorey 3:11,11 29:19 30:2,2 134:20,20 135:2 135:20 136:14,17 short 68:22 69:4 99:4 103:2 171:9 181:10 short-sighted 25:22</p>	<p>136:11 short-term 24:1,9 167:12 shortly 109:7 130:21 show 11:3 78:10,15 81:7 90:4 93:12 97:7 98:14 159:2 168:15 showed 7:7 11:12 63:1 104:12 showing 12:14,22 97:2,18 117:15 156:18 shown 26:11 38:16 51:9 84:4,17 180:14 shows 37:13 39:8 41:14,17 42:2,5,9 42:9,13 44:14 51:7,16 53:14 77:19 92:6 106:3 112:20 120:12 168:4 176:13 shuffle 14:18 side 81:11,12 94:18 103:10 142:16 156:20 157:1 168:3 significant 39:10 63:5 68:21 106:3 156:16 significantly 35:4 47:3 94:21 111:12 111:15 signs 178:20 silent 145:7 similar 23:21 36:12 72:6 99:6 112:1 144:8 simple 182:2 simplification 76:13 simplistic 75:15 simply 33:5 44:14 54:22 140:12 Simultaneous 21:16 41:21 52:12 115:17 116:21 139:1 143:6 149:10 165:11 single 116:10 162:22 single- 177:2 single-family 30:8 30:13 31:4,6 39:20 52:10,11,19</p>	<p>single-stage 174:18 174:20 175:5,11 175:18 177:7,12 site 81:18 93:6,6,10 site-to-source 83:11 sits 69:2 situation 17:14 27:8 74:2,2,4,5 117:16 120:3 121:20 situations 29:5 30:14 31:13 125:1 125:3 167:21 six 138:9 Sixty-nine 78:4 Sixty-three 78:3 size 63:16,17 sizes 63:16 slide 4:21 7:6 8:9 9:11 11:7 14:22 30:17,17 34:6,13 34:14 36:11 37:12 48:12 51:7 67:18 69:9 75:10 79:5 83:10 92:19 95:9 98:15 102:1 104:12,16 106:8 106:10 109:15 112:20,20 137:9 143:11 153:9 163:5 167:22 168:7,21 170:22 174:3,14 slides 5:15 8:1,20 9:9 11:3 14:13 30:22 34:7 36:2 36:20 75:8 77:8 99:11 167:18 173:11 slight 21:8 148:9 slightly 72:6 86:10 slope 106:14,16 slopes 11:5 slow 57:4 small 33:5 55:11 64:8 86:4 96:5 111:18 117:3 128:10 146:18,19 147:1,5 148:1 149:18 153:4 167:11,12 smaller 14:11 35:7 63:16 133:6 150:2 SO2 157:5,7,10 159:9 161:7 162:14 social 107:9 161:20</p>	<p>161:22 societal 24:13 107:10 163:2 society 107:14 software 6:15 solar 59:1 160:20 sold 64:3,8 solid 12:19 96:13 solution 168:12 solutions 2:9 4:8 168:8,10 solve 138:1 somebody 11:9 111:10 somewhat 19:19 140:12 Sophie 90:19 sorry 12:11 15:22 18:3 28:4 31:5 53:6 57:8 59:10 86:17 93:6 96:1 112:14 114:7 148:14 166:4 sort 8:4 12:13 23:14 72:21 77:7,8 94:22 110:2 111:2 177:9 sound 47:10 112:16 181:15 sounds 125:5,6 source 44:8 49:12 50:18 62:3 81:18 93:6,6,10 sources 60:17 south 49:15 54:3 57:17 84:16 140:15 143:9 166:7 south/north 49:5 Southern 2:10 23:20 space 67:8,9 space-heating 36:16 span 138:7 speak 6:8,16,21 29:18 80:1 speaker 22:2 speaking 54:9 62:17 78:5 111:9 specific 66:6 70:17 95:10 153:16 specifically 69:15 145:17 172:12 173:6 183:21 184:2 specifies 174:18</p>	<p>spend 112:9 spent 9:7 179:2 183:9 split 8:4 spread 76:22 127:16 138:9 142:3 spreadsheet 93:7,18 100:8 127:3 spreadsheets 126:12 127:16 stab 110:7 stage 174:21 177:3 stainless 170:20 stakeholder 62:22 152:20 173:7 stakeholders 32:7 32:14 184:19 stand 14:13 standard 11:21 18:21 20:19 21:15 24:3 27:5 32:16 36:18 48:7 51:3 55:19 57:19 62:20 73:13 81:2 84:7,9 84:10,11,12,14 85:6,11,20 87:4,7 87:8,9,10 92:3 93:9 95:16 97:12 102:7,8 110:15,17 113:18 122:12 123:19 125:17 128:21 131:18 132:2,7,10 133:3 135:13 140:4,10 140:11,18 142:8,9 142:13 146:18 149:17,19 150:3 156:8 158:20 161:19 165:3,10 170:17 176:21 177:18 standard-case 37:9 standards 1:2 4:5 5:6 9:6 10:11 14:10 36:8 54:7 55:19 72:22 73:3 80:14 82:7,10 86:6 91:20 100:5 100:17 103:12 111:11,21 112:5 128:7 130:17 132:13 133:4 141:6 149:17 156:2 159:1 161:3 162:11 164:13</p>
--	---	--	---	---

167:5 170:11 171:3 181:15 standards-case 81:12,15,16,17 82:4 84:19 standby 91:21 95:11,17 96:2,18 99:7,13 109:1 149:16,16,18 156:12 standpoint 138:10 stands 180:4 Stanonick 26:22 27:1,1 Stanonik 3:6 34:11 34:13 43:1,2,2,7 43:15 45:1,13,13 54:13,14,14 67:16 67:17,17 75:5,6 76:21 92:18,18 101:22,22 134:3,4 140:2,3 142:11,11 143:7,14 145:8,8 153:20,21,21 170:10,10 staring 56:16 start 4:14 5:2 9:19 10:5 21:6 81:8,22 144:20 150:20 156:16 started 4:9 34:12 39:12 49:8 176:19 177:1 starting 66:12 79:20 starts 37:16 51:1 Stas 2:6 state 120:12,12 127:11 stated 28:10 143:16 statement 28:8 45:22 57:14 113:3 113:3 114:10 174:21 175:7 statements 8:14,17 44:16 states 103:4 111:20 112:7 statistics 13:20 28:21 29:1 status 169:8 171:14 Stay 14:15 stays 95:6 steady 55:6 57:1,4 steel 170:21 steep 78:10	steeper 106:16,17 step 32:22 33:15 98:9 115:21 180:2 steps 178:11 Steve 14:16,20,21 20:11,12 23:18 30:4 39:4 44:7,9 44:18 51:21 52:16 56:7 57:22 61:15 66:18,19 94:14,15 96:17 99:22 101:8 104:10 105:7 106:9 111:7,8 119:19,20 147:12 149:1,2 156:13,14 160:11 161:8 163:3 165:1,2 Steven 2:22 39:5 88:2 97:17 sticky 60:13 stimulus 104:15,16 105:1 106:2 stock 25:12 38:19 38:20 81:5 83:4,4 stop 51:5 stopped 5:18 45:9 story 69:3 straight 76:2 strategy 132:8 168:10 169:2 stratify 29:21 stress 33:21 41:5 strolling 185:14 strong 115:6 strongly 144:1 structural 180:10 structure 43:12 47:11 85:9 studies 23:1,21 163:10 study 11:9,12 15:16 15:18 16:18 17:14 17:15 23:13,13 31:17 59:4 61:4 62:2,11,21 64:14 64:15 65:4 117:8 stuff 7:3 159:4 171:11 174:10 183:20 Stunder 3:12 subassemblies 173:8 subchapter 183:1 subgroup 4:22 5:17 5:20 7:7,10 19:22 20:9 22:16,18	23:4 subgroups 128:10 submit 40:6,12 subsequent 36:20 subset 109:3 116:15 substantial 166:1,6 substantially 136:4 137:2 succeeding 55:8 sufficiently 6:7 suggest 7:20 11:22 26:15 101:8 116:3 116:9 119:15 suggested 12:10 26:20 suggesting 47:11 108:9 sum 14:8 summarizes 82:12 summary 14:1 171:14 177:21 summertime 120:7 supplement 131:11 supplemental 6:5 63:19 supply 11:5 12:12 12:15,18,21 13:12 25:15,16 26:11,13 26:14,19,21 support 19:17 30:16 33:2 41:8 96:19 120:11 163:8 supporting 23:13 23:16 suppose 132:22 supposed 27:15 102:6 sure 6:9,11 14:14 46:15 61:10 79:14 84:22 89:8 113:7 113:22 114:20 118:3 119:16 130:12 135:6 137:16,22 138:16 146:17 154:22 181:18 survey 50:6 52:18 61:7,8,11 116:6 118:8,20 119:13 surveyed 118:13 SW 1:7 switch 19:1 38:2 41:8 65:2,9 70:14 70:19,22 73:14 74:7,8,13 114:13 115:19 117:17	118:10,11,21 119:1,1 121:4,16 122:20 switched 61:4,6 65:12 66:10,10 70:14 73:5 112:2 switches 114:8 switching 18:17 20:5,6 36:13 40:1 41:13,17 42:3,5,9 44:16 51:2 55:18 55:20,21 56:22 57:16 59:11 60:11 61:3,9,14,15 62:3 62:16 63:2 64:21 64:22 65:8 66:22 67:3,10,21 68:19 70:7 71:19 72:5 72:17,21 73:14,20 74:2,8 112:22,22 113:2,10,17 114:11,11 115:7 115:15 116:6 117:6,9,10 118:5 118:8 119:12,15 124:13,14 125:3 126:3,10 130:15 156:21 166:8 179:14 180:5 switchover 55:3 synergies 146:7,13 synergy 145:18 system 14:17 47:22 48:1 58:19 63:20 63:21 67:8 171:3 171:5 174:16 systems 19:8 39:10 40:19,20 59:1,1 63:22 170:14,14 170:18	177:19 178:3 180:2 taken 79:17 158:22 159:12 183:14 takes 124:22 125:2 talk 9:5 16:16 21:18 50:14 87:4 94:19 131:3 165:4 167:18 176:4 talked 5:16 15:1 16:13 53:16 90:15 117:8 141:15 157:18 160:5 182:1,2 talking 9:8 13:11 14:2 16:11 26:8 27:2,8 36:10,20 54:21 55:17,18 60:19 68:10 106:9 108:5,6 156:16 183:10 tank 61:22 targets 100:12 tax 59:2 75:11 78:12 100:11,11 104:14,19,21 105:9,12,13,14,22 106:1,4 teardowns 172:17 177:2 technical 5:11 19:17 30:16 76:3 96:19 120:11 163:8 technically 135:21 technologies 40:18 40:20 42:10,19 56:10 58:13 60:3 60:8 92:5 97:21 120:16 167:9 168:17 170:1 technology 40:1 67:7 97:11,22 98:6,7,14 113:9 114:8,17,17 120:14 teed 145:17 teetering 108:17 tell 10:4 16:8 45:16 45:20 46:6 59:6 61:14,22 62:4 93:8 107:4 183:13 tells 182:12 ten 166:17 tenants 12:4,7,9 14:3 17:16 26:9 tend 35:7 162:22
--	---	---	--	---

<p>tentative 176:8 term 76:3 terms 30:15,22 49:1 50:21 51:3,11 53:15,20 62:3,5 75:13 77:13 81:21 86:9 88:11 97:14 99:1,12,16 104:22 128:15 146:2,3 151:13 160:14,16 163:11 165:6 172:14 Terry 96:5,12 153:4 153:12 test 151:21 152:4 175:7,9,14 176:2 176:4,5 tested 175:12 testing 145:19 176:3 thank 5:8 7:4 16:20 24:16,17 30:3,4 32:16,18 34:8 40:5,14 41:5 53:13 54:13 55:16 57:8,9,12 59:8 65:4,4 66:4,17 68:13 71:7,11 74:15 75:4 76:6 77:16 78:18,20 79:11 85:15 86:22 87:2 88:8,21 89:6 91:7,18 93:13 94:5,9,13 95:18 95:21,21 96:15,16 100:1 101:16,17 105:3,8 119:18 120:18 128:2 137:7 139:17 148:11,22 149:14 150:12 153:10 155:11 161:11,12 163:2 166:20,21 166:22 169:4 173:21 178:1,4 181:4,5 184:10 185:16 thanks 5:9 16:22 26:3 44:3 46:8 48:10 64:12 91:6 99:10 143:5,5,18 145:6 146:10 153:11 155:11 163:3 171:16 184:14,14 185:15 Thats 73:9</p>	<p>theories 58:10 theory 7:12,13,19 8:4,5,5 11:21 22:22 28:19 119:5 thing 10:19 20:14 30:22 54:15 73:7 108:2 113:6 117:5 119:16 137:3 169:8 182:6 things 7:14 10:5 22:19 24:13 27:2 27:4 41:9 58:22 65:2 68:17,18 103:10 135:8 139:14 142:12 145:21,21 146:3 151:5 154:3,6,18 154:21 160:5 169:20 178:11 179:1,12 182:9 think 6:6 7:2,19 8:6 9:10 14:9 16:9 17:20 18:22 19:22 22:14 23:2,3,12 23:14 25:22 32:4 32:12,14 33:8,10 35:7 41:7 46:3,16 50:7 54:16 55:6,8 55:11 57:5,20 59:12 60:8,9,11 60:12 64:20 65:14 66:2 70:19 71:1,5 72:8 73:7 75:11 76:18 77:7,9,13 78:14 91:2 101:7 103:21 105:13 107:3,4,10,16 109:17 110:8 116:19 117:11,13 123:11,22 125:4 126:13 130:4 133:21 137:9 139:19 141:13 142:6,7 144:21 145:16,16 149:21 153:19 154:10 165:15 169:6 170:7 171:13,18 176:6 178:10,22 179:3 180:2,7,11 180:19 181:19 183:10,14 184:11 184:16,18,20 thinking 9:7 33:9 41:9 47:10 59:20 60:16 61:15 85:14</p>	<p>179:20 thinks 46:5 third 84:13 120:14 133:10 thought 28:6 31:19 124:1 166:4 183:6 thoughts 26:7 three 11:3 36:8 37:13 51:18 69:9 69:12 84:7 86:16 86:16 87:9,10,12 87:17 91:4,4,5 92:2,10,15 93:9 94:3 99:14,16 129:3,9 131:13 132:9,15 135:19 136:3 137:14 140:11,18 143:12 143:22 144:2,16 146:19 149:4 156:11 163:21 three-tier 132:18 133:7 138:2 threw 169:13 throw 110:9 thumb 117:2 Thursday 157:13 tier 132:9 tight 16:7 time 6:9,21 7:7 13:12 14:18 21:7 21:11,19 23:15 24:2,5 29:20 32:5 34:2 35:11 37:21 39:22 43:12 47:14 47:20 49:16 50:11 52:14 56:20,21 57:2 59:11 60:6 60:10 61:5 62:11 64:21 72:2 84:17 85:1 86:19 93:22 94:3,4 104:20 108:5,13 110:6 112:18 119:9 120:8,10 127:6 133:21 145:22 160:9 167:12 178:5,6 179:9 180:20 182:2 timeframe 79:6 118:9 144:8 times 49:11 timing 146:8 today 4:6,13 5:19 7:21 15:21 32:8 32:13 33:6 110:22</p>	<p>116:1 117:4,4 119:4 121:4 128:5 130:5,19 131:5 138:7 147:3,7 160:17 165:17 168:19 169:20,21 170:19 today's 169:21 told 157:21 tomorrow 94:7 116:13 160:3 166:13 tool 93:17 128:15 tools 93:3 154:2 top 68:5 116:8 138:8,21 139:15 top-down 133:19 topic 80:12 118:15 167:20 184:16 topics 178:13 total 44:21 45:3 49:1,17 50:10 51:11 53:4 82:2,8 82:9 83:15,15,16 92:9,16,16 93:15 99:14 133:15,17 164:17,20 totally 67:4 106:15 126:19 158:5 totals 39:18,20 touch 179:12 182:10 touched 24:22 touches 148:21 town 155:17 townhouses 30:8 tracking 38:19 trading 162:19 trajectory 182:21 transcribed 103:22 transcript 6:20 transparency 155:2 178:15,16 transparent 154:15 179:4 181:9 184:20,22 travel 185:11 traveling 185:11 treated 9:14 treats 9:12 trend 94:2 148:3,5 159:11 trending 158:22 trends 158:22 159:15 160:4 trial 84:7,10,12 87:4</p>	<p>87:7,8 91:20 132:6 133:3 140:10,18 tricky 167:21 tried 139:19 triple 53:1 trouble 12:1 127:2 troubles 121:9 true 11:12 15:13 23:12 26:7 113:7 115:11 145:16 166:19 184:19 trust 44:18 try 11:1,2,3 26:1 33:9 43:19 61:13 62:15 80:6 112:13 125:4 163:14 169:9 171:15 trying 9:9 22:19,20 77:1 102:3 126:21 152:13 159:2 TSD 19:19 22:6 23:5,6 27:15 35:17 48:15 51:14 72:11,12 77:10 82:14 84:20 86:14 86:21 92:20 96:22 100:6 101:7 155:3 162:7 167:13 168:1 172:16 174:21 177:7 TSL 86:16,20 87:10 87:12,13,13,17,18 87:22 88:4 92:2 92:10,15 98:14,18 99:14,16 135:18 143:22 144:1,2,16 144:16 149:4 156:11 163:20 164:15 TSLs 91:22 turbo 63:20 turn 184:9 turned 166:4 turning 6:22 136:2 turns 179:22 two 13:2 37:16 48:17 52:9,15 60:3 63:16 76:10 80:16 83:19 84:6 84:12 87:9,19 89:14,18 92:14 98:1,18 120:4 124:18 125:14 129:7 135:8,14 137:10 140:4</p>
--	--	---	---	---

142:13 144:11,15 145:5 146:21 159:5,6 160:7 164:5 167:17 168:6 179:1 184:15 two- 174:20 two-stage 174:17 175:5,8,15 176:22 177:3 type 36:16 48:1 97:8 108:16 164:19 170:20 174:16 types 25:21 39:22 103:10 151:9 154:17 177:14 typical 9:14 12:14 14:1 18:1 typically 85:3,4,8 85:10 120:6,9	113:11 134:10 understands 144:10 understood 118:3 undertake 147:7 Unfortunately 61:6 unhidden 155:1 unique 144:6 unit 82:17 83:15,16 83:16 137:5 150:1 units 25:15 81:5 175:1 University 16:13 90:17,18 unmute 6:17 unmuted 80:1 unsympathetic 27:18 unwittingly 74:22 update 163:15 170:8 updating 127:2 upper 132:16 133:7 ups 142:5 upstream 156:4 165:5 urban 13:9,13 64:4 urge 181:7 use 35:8 40:3 43:20 44:22 50:19,21 81:15,18,18 82:10 83:19 89:7,10,10 90:7 93:10 120:8 129:7,12 138:17 152:8,8 157:4,9 162:14 169:19 170:20 172:18 181:8,11 useful 4:11 uses 50:16 101:2 usual 26:19 usually 63:16,17,21 69:1 utilities 111:22 157:8,13 165:5,18 166:8 utility 28:1 102:13 105:16 109:17,18 111:11,17,20 158:12 164:10 165:7,8,17,20	128:22 validated 129:10 valuable 60:18 62:2 179:5 valuation 167:9 value 25:4 80:19,21 80:22 81:21 82:11 82:17 92:13 99:16 100:21 128:19 133:2,12,22 140:17 143:12 150:9 values 49:15,17 94:1 127:3 133:5 154:5 161:21 162:8,11,13 163:6 163:17,21 variable 144:13,13 variations 97:21 variety 41:15,20 various 49:11 127:14 132:6 141:5 vary 47:5 93:21 125:14 vastly 91:3 vent 170:20,21 vented 69:3 venting 19:7 69:1 117:17,20 121:8 121:17,19 124:17 125:1,3 151:9 167:19,21 168:3,8 168:10,18,18 169:1 170:1,14,14 170:18 171:5 vents 168:14 Vershaw 108:20 version 35:16 100:8 versus 7:15 53:18 71:16 75:10 88:6 97:16 102:7 107:11 120:5 124:10,17 126:3 159:6 vertically 69:3 vetted 22:10 34:3 Victor 2:15 28:5,21 34:9 35:11,18 44:3 57:10 69:8,9 72:11 74:1 75:6 80:8,9 85:2 91:7 110:9 125:10 151:8,16 155:14 155:19 view 41:3 58:9,10	59:4,5 75:16 viewing 155:17 vociferous 165:15 voluntary 100:12 162:20 Von 3:13 vortex 157:8,11 vortexes 159:3	118:2 130:20 142:2,6,7 147:21 154:9 155:3 169:2 173:18 185:6,6 we're 4:13,14 5:1,2 7:18 8:1 13:11 16:11 18:21 20:1 20:1 22:14 23:5 26:7 27:2,8,9,12 28:19 31:21 34:4 34:5,8 40:15 42:16 49:17 54:21 55:17,18,19 57:15 65:3,9,21 66:2 70:10 72:4,8,8 73:2,16 78:22 79:19 80:7,8 85:19 108:5,6 109:6,11 110:11 110:17 112:11 122:15,16 124:21 125:7 126:2,22 127:21 128:1 135:18 141:10,22 146:15 150:14 152:14,16 155:13 155:15 159:2,12 169:12 173:10 179:7,9 180:20 181:18 185:3 we've 7:12 27:14 31:18 33:6 49:11 50:18 69:11 71:15 89:14 104:5 110:13 124:21 126:21 130:11,15 131:5 141:1 148:3 168:2 172:18,19 172:22 173:1,2 178:10 179:2,7 181:2 184:16,18 wear 79:14 weatherized 37:2 web 6:14 websites 129:5 169:17 weeds 19:7 160:12 week 9:7 weeks 7:9,12 weighed 90:18 weight 103:14 104:1 welcome 4:4,17 6:14 45:14 152:19 153:17 173:15 176:12 177:14 welcomes 78:19
<hr/> U <hr/> U.C 9:8 11:11 U.S 1:1,6 39:8,8,21 44:10 50:17 149:6 158:19 UL 168:13 170:2,22 ultimately 20:9 116:17 unadulterated 45:4 unaffected 113:18 unavailable 112:19 unaware 11:8 underestimated 166:16 underestimating 14:10 underlying 118:4 173:5 underpinnings 181:14 underscore 32:19 underscores 126:20 understand 34:1 60:2 65:16 72:16 72:19 91:17 104:7 113:8 121:2,11 125:5 126:8,22 127:20 129:1 139:10 172:1 179:10 185:6 understandable 79:6 understanding 68:4 90:6 103:22	<hr/> V <hr/> V-20 149:3 valid 176:10,14 179:19 validate 60:9	<hr/> W <hr/> wait 158:8 walk 8:3 132:22 173:11 wall 108:17 want 9:5 19:12,14 23:6 27:18 32:1 32:19 33:21 43:9 45:5 54:22 59:14 59:18 64:12 65:18 74:17 86:8 113:7 113:22 119:4,16 126:5 130:12 150:7 168:3 172:6 179:6 182:6,19 wanted 8:14 69:22 95:20 118:3 125:11 135:14 148:10 173:17 178:2 183:9 wants 153:13 warranty 139:9 wash 179:22 Washington 1:8 4:7 90:17 wasn't 71:14 78:10 105:9 106:15 112:14 125:18 143:8 water 31:12 wattage 95:19 watts 92:2 95:10,14 96:20,21 97:2,19 97:20 98:16,17,17 way 10:10 12:8 13:17 24:11 43:10 45:15 47:10 62:14 67:4,5,7 68:6 71:6 76:4,19 91:1 99:5 119:12 122:4 125:5 127:9 136:18,20 162:21 165:13 179:20 180:13,16 ways 126:22 178:9 we'll 8:1 43:22 51:5 89:19 115:21		

welcoming 4:14	67:13 153:15	1	1990 157:2,4 163:11	158:15
welfare 108:18	161:9	1 86:18 99:18	1992 108:4	20585 1:8
well-accepted 181:16	wrong 46:7 110:9 169:9	101:11 133:12 141:10,11 150:1	1998 166:15	210 149:5,12
wellbeing 119:7	wrote 136:7	1,000 106:2	1A 126:13 183:1	22 140:8
went 5:15 41:7 43:3 59:12 65:2 92:4 104:13 106:13 110:16 123:14 126:17 151:8,16 157:9	X	1.1 141:11	2	23 84:6
Wentzel 3:13	X-13 176:22	1.27 137:18	2 50:9	236 126:18,18 127:19
weren't 39:22	X-13s 177:4	1.29 138:3	2,000 121:22	238 112:21
whatevers 75:22	X13 97:11	1.34 137:18	2,200 160:20	25 38:11
white 27:4	Y	1.37 138:3	2,692 149:5,5	26 99:15
wholesale 56:14	yeah 15:4,19,22 17:13 21:1 31:5 32:19 41:14 44:9 53:9 59:9 62:8 76:22 80:4 91:18 96:1 106:11,11 113:5 137:11,13 138:1,4,10 145:13 148:13 153:13 165:22 169:16 171:11 174:5	1.45 138:3	2.25 92:11	27th 4:9
whoops 31:5	year 12:1 15:10,11 31:2 41:15 49:2 52:10 56:16,18,18 58:6 62:18 127:17 144:18 157:8,10 157:20,22 158:2 160:19 166:15	1.5 52:9,15,19 53:11	2.70 57:1	3
wide 41:14,20 42:10	year's 158:2	1.52 79:12,16	2.78 92:12	3 50:9 69:17 77:10 77:15 83:20 89:14 89:17 92:14,15 97:19 107:7,8,14 163:21
widespread 110:16	year-by-year 38:20	10 67:2 79:5,13 82:14 84:20 86:2 87:1 150:1	20 29:1,4,8,14,15 30:6 57:16 75:18 75:22 76:1 79:6 113:1 163:13	3 50:9 69:17 77:10 77:15 83:20 89:14 89:17 92:14,15 97:19 107:7,8,14 163:21
Wiley 2:16	yearly 39:18,19 83:4	10% 108:14	200 106:1	3-percent 99:17
win 7:10	years 32:3 39:11,17 42:12 43:17 44:1 45:8 46:19,19,21 52:18,20,21 55:8 55:14 67:3 75:12 75:18,22 76:1,22 79:7 89:16 90:10 106:2,14 135:9 136:3 163:13 166:17	10:52 79:12,16	2000 61:6 106:17 157:17	3.1 92:17
wind 160:20	yield 99:17	100 108:19	2002 61:6	3.3 99:17
winner s 24:12 87:15	yields 87:14	1000 1:7	2003 129:18	30 102:12
Winningham 3:14 71:12	you d 127:9	101 12:13	2004 52:20 163:11	30-year 36:6 80:16 99:19,21
winter 56:17	Z	104 102:1 109:15	2005 39:12,13 49:11 49:14 52:20 56:13	305 112:22
wintertime 120:7	0	10th 185:5,8	2006 52:20 163:6	34.72 174:20 175:4 175:12
wish 8:19 23:19 24:17 57:22 58:10 59:4 69:13 156:15 172:3	zone 40:19	11 57:17 79:13 96:20 97:2	2007 129:20	35 157:5
wishes 6:5		11,000 39:14	2008 58:6 106:12,17 129:18	4
woman 90:19		11.7 31:1	2009 38:8 46:2 49:6 49:15,19 50:19	4 50:10 89:12
wonder 33:3 68:9		11:14 79:18	2010 75:16,17	40 29:5,7,13 30:7,10 30:11,17 102:20 104:13
wondering 59:21 147:13 163:12 165:4		1122 160:20	2011 89:3,5 91:15 126:14 127:14,18 129:16	400 141:9
wood 19:5,5 41:9 58:22,22 61:16 63:15 64:2,10		113 153:9	2012 49:9,19	4318 160:21
wood-fueled 63:15		12 75:13	2013 38:8 52:21 129:20 157:4	471 160:21
work 11:10 140:21 152:17 184:5		12866 182:12 183:1 183:12,16	2014 37:17 38:21 50:22 52:7 83:12 83:14 93:22 116:7 118:9 156:7 160:1 164:15 174:22	5
worked 111:10		13 1:12 4:6 67:2 155:22 156:10 161:15	2015 1:12 4:6,10 94:6 127:15,19 160:3 163:15 166:14	5 84:5 86:19 89:12 97:20 107:3 133:18 134:1 174:17
workers 149:4		13,000 160:18	2017 52:2,4 53:2	5,000 37:6 121:21
working 14:17 180:16		14 67:2	2019 135:9 144:8 175:1,20	5.4.3 174:18
works 3:12 154:16		14A 162:7	2020 149:4,6	50 38:12 39:1 100:15 105:19 158:14,18
worse 26:10,10 90:13 118:22 122:5 140:9		14B 162:8	2021 36:7 54:3 80:15 81:5 84:3 110:2,10,12 144:8	50/50 97:15
worst 149:8		15 56:14 83:7 101:2 101:9,11 158:13 161:15 164:9,22 165:4	2050 36:7 51:19 80:15 81:5 110:2	51 157:16
worth 44:18 111:17		15-year-old 117:7		55 84:5
wouldn't 15:5 47:4 154:19		155 100:13 102:11 103:5		569,000 52:22
written 23:15 40:6		16 92:16 167:1,13		57,000 39:15

<p>6.4 89:2 91:16 130:4 60 13:21 29:6,8,15 103:6,8 104:14 135:17 60/40 97:17,18 65 100:14 67.5 38:22 43:5 67.7 38:22 69 75:10 104:16</p> <hr/> <p style="text-align: center;">7</p> <p>7 83:20 87:14 89:14 89:17 92:15,16 107:3,7,14 129:22 163:22 7-percent 99:18 7,000 121:20 7.5 38:8 75 140:20 77 99:15 78%-AFUE 116:12</p> <hr/> <p style="text-align: center;">8</p> <p>8 89:3 90:2 91:15 97:4 108:2 8.2 120:14 8.3 31:1 8.5 95:10,14 96:21 120:15 8.7 98:17 80 21:6 29:9,12 87:20 88:1 112:20 112:20 125:17,20 135:19 138:8 140:5,15 141:11 157:7 158:1 80% 116:13 121:17 143:9 800 100:15 105:20 83 30:17 34:6,13 87 126:18 127:18 8E-089 1:9 8I 66:8</p> <hr/> <p style="text-align: center;">9</p> <p>9 37:5,6 120:15 9,800 160:20 9.0 98:17 9.2 96:21 9.5 96:21 98:15 9:00 1:14 9:30 4:2 90 85:20,22 86:3 87:22 88:13 103:15,15 140:4 90-percent 104:2</p>	<p>126:16 127:17 90% 104:4,6 110:21 116:13 91% 88:14 92 57:19 86:1,3,5 87:17 88:12 96:13 103:16 113:10 92-percent 54:2 114:3 141:13 92% 88:17 104:5 110:21 116:13 142:16,19 143:9 92s 34:21 143:13 95 87:19 139:22 95-percent 85:6 103:18 95% 104:6 116:14 121:19 142:13,17 142:17,22 95s 34:21 98 86:11,15 138:8 98% 110:21 116:14 142:20 99 95:9 98:15 9B 51:14</p>			
---	---	--	--	--

TRANSCRIPTION CERTIFICATE

As a professional transcriber, I certify that the attached document(s) are, to the best of my abilities, an accurate transcription of audio recordings provided to the company, given the quality of the provided audio recording(s), and that I have no financial or other interest in the proceedings to which they pertain.

Cindy Thomas

TRANSCRIBER